



**Southwest Power Pool  
REGIONAL STATE COMMITTEE REGULAR MEETING  
September 15, 2004**

**• M I N U T E S •<sup>1</sup>**

**Agenda Items 1 & 2 – Administrative Items**

RSC President Denise Bode, Oklahoma Corporation Commission (OCC) called the meeting to order at approximately 3:10 p.m.<sup>2</sup> Other members in attendance or represented by proxy were:

- Sandra Hochstetter, Arkansas Public Service Commission (APSC)
- Brian Moline, Kansas Corporation Commission (KCC) (by telephone)
- Steve Gaw, Missouri Public Service Commission (MPSC) (by telephone)
- Ben Montoya, Proxy for David King, New Mexico Public Regulation Commission (NMPRC) (by telephone)
- Julie Parsley, Texas Public Utility Commission (TPUC)

Others in attendance were:

- Richard House, Arkansas Public Service Commission
- Sam Loudenslager, Arkansas Public Service Commission (by telephone)
- Mary Cochran, Arkansas Public Service Commission (by telephone)
- Diana Brenske, Arkansas Public Service Commission (by telephone)
- Larry Holloway, Kansas Corporation Commission
- J. Michael Peters, Kansas Corporation Commission (by telephone)
- Greg R. Meyer, Missouri Public Service Commission
- Mike Proctor, Missouri Public Service Commission
- Joyce Davidson, Oklahoma Corporation Commission
- Kelly Leaf, Oklahoma Corporation Commission (by telephone)
- David Dikeman, Oklahoma Corporation Commission (by telephone)
- Ed Farrar, Oklahoma Corporation Commission (by telephone)
- Karen Forbes, Oklahoma Corporation Commission (by telephone)
- Paul Hudson, Chairman, Texas Public Utility Commission
- Evan Rowe, Texas Public Utility Commission
- Erin Bain, Texas Public Utility Commission
- Jess Totten, Texas Public Utility Commission
- Bridget Headrick, Texas Public Utility Commission
- Nick Brown, SPP
- Bruce Rew, SPP

---

<sup>1</sup> These minutes were compiled from the transcript take by Lou Ray, C.S.R., with Kennedy Reporting Service (Attachment 1).

<sup>2</sup> Chairman Paul Hudson also called the open meeting of the Public Utility Commission of Texas to order.

Les Dillahunty, SPP  
Mark Rossi, Barker, Dunn & Rossi (Consultants for SPP)  
Bary Warren, Empire District Electric Company  
David Brian, East Texas Cooperatives  
Michael Desselle, AEP  
Todd Eagleston, Wind Coalition, RES Amer. Develop.  
Susan Williams Sloan, Wind Coalition  
Mike Sloan, Wind Coalition  
Wayne Walker, Wind Coalition  
Zeina El-Azzi, Wind Coalition, Gamesa Energia  
Elizabeth Stipnielzs, Edison Electric Institute  
Steve Neinast, Entergy Gulf States  
Jack Blakley, Entergy Gulf States  
Walt Shumate, EEI Consultant  
(inaudible), AEP (by telephone)  
Terri Gallup, AEP (by telephone)  
Al Yakki, AEP (by telephone)  
Riksha Krishna, EEI (by telephone)  
John Guensch, OG&E (by telephone)  
David Kays, OG&E (by telephone)  
Bill Wylie, OG&E (by telephone)  
Terrill Gillam, Southwestern Power Administration (by telephone)  
Robert Shields, Arkansas Electric Cooperative (by telephone)  
Tom Stuchlik, Western Energy (by telephone)  
Dick Ross, Western Energy (by telephone)  
Dennis Reed, Western Energy (by telephone)  
Littleton, Okla Municipal Power Authority (by telephone)  
Bernie Liu, Xcel Energy (by telephone)

A quorum was declared. President Bode asked for adoption of the August 18, 2004 meeting minutes. **Secretary Julie Parsley moved to adopt the August 18 minutes. Vice President Hochstetter seconded the motion. There was no discussion and no objections, and the minutes were adopted by acclamation.**

### **Agenda Item 3 – Updates**

President Bode asked for an update from the RSC Treasurer. Ben Montoya (NMPRC) stated that Treasurer King provided the latest travel policy (Attachment 2). President Bode indicated that it would be taken up later during the business meeting, if time was available.

Nick Brown (SPP) informed the committee of the following outstanding issues regarding the SPP's RTO filing at FERC:

1. The JOA with MISO and the market-to-nonmarket provisions; and
2. Status of schedule AA.

There were no other reports.

### **Agenda Item 4 – Business Meeting**

**Cost Benefit Study:** Sam Loudenslager (APSC) reported that they are working on three outstanding issues with the consultants:

1. The contract itself;
2. The methodology and assumptions memo; and
3. Ensuring that the data gets submitted to the consultants from the members and the SPP.

Mr. Loudenslager reported that they are about one month behind schedule and that a final report may be issued by the end of November. Mr. Loudenslager asked who would be signing the contract, and Mike Peters (KCC) reported that Article Nine of the Bylaws states that contracts and other things requires two signatures, the President and Vice President, and one other Officer or the Executive Director. It was noted that the Commissioners from the various states would look into whether they can sign the contract.

**Cost Allocation Working Group:** Mike Proctor (MPSC) provided a handout on the CAWG strawman proposal concerning transmission upgrade and expansion cost allocation for the SPP footprint (Attachment 3). Mr. Proctor discussed the handout and described information contained in each slide. The group discussed the Base Plan proposal in detail, focusing on issues related to the length of the contract term required for designated network resources, potential periodic re-examination or true-up of the allocation percentages, and the parameters for flexibility and changes. After extensive debate, Vice President Hochstetter noted that the dialogue needed to be continued because it was getting late and no resolution had been reached on the issues. Vice President Hochstetter suggested that the CAWG get together and work on two or three options that are refinements of the current CAWG proposal and that reflect the comments provided by the group. Joyce Davidson (OCC) stated that the CAWG was meeting in the morning on September 16, and it was their hope to take the input and rework the options. It was agreed that the revised proposal would be discussed on September 22.

No other items were taken up.

### **Agenda Item 5 – Future Meetings**

The next special meeting will be held by teleconference on September 22, 2004, at 10:00 a.m.

### **Adjournment**

Vice President Hochstetter asked for a motion to adjourn. **Secretary Parsley moved to adjourn. Hearing no objection, the meeting adjourned at 5:45 p.m.**

Respectfully Submitted,

---

Julie Parsley, Secretary

Attachment 1 - transcript

SOUTHWEST POWER POOL

REGIONAL STATE COMMITTEE

SEPTEMBER 15, 2004

AUSTIN, TEXAS

Attachment 1 - transcript

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

P R O C E E D I N G S

WEDNESDAY, SEPTEMBER 15, 2004

(3:02 p.m.)

CHAIRMAN HUDSON: This meeting of the Public Utility Commission of Texas will come to order having been duly posted with the Secretary of State for September 15th, 2004. And I'm just going to sit in the back of the room and listen in.

(Discussion off the record)

PRESIDENT BODE: All right. Let's do call this meeting to order -- regular meeting posted for September 15th, 2004, of the Regional State Committee of the Southwest Power Pool, and we'll ask our Secretary to call roll.

SECRETARY PARSLEY: Chairman Hochstetter?

VICE PRESIDENT HOCHSTETTER: Here.

SECRETARY PARSLEY: Chairman Bode?

PRESIDENT BODE: Here.

SECRETARY PARSLEY: Steve Gaw?

MR. PROCTOR: Mike Proctor on behalf Steve Gaw.

SECRETARY PARSLEY: David King?

MR. MONTROYA: Ben Montoya on behalf of David King.

SECRETARY PARSLEY: Brian Moline?

1  
2

MR. PETERS: Brian Moline is here and (phone tone) on as a proxy. I'm here (inaudible) Mike Peters for  
Page 2

Attachment 1 - transcript

3 the KCC.

4 SECRETARY PARSLEY: And I'm here,  
5 Julie Parsley.

6 PRESIDENT BODE: Okay.

7 SECRETARY PARSLEY: And there is a quorum  
8 present. Is anybody present on the phone from Louisiana?  
9 Is Walter on?

10 (No response)

11 PRESIDENT BODE: Okay. We do have a quorum  
12 declared, and I think the other preliminary matter is  
13 adoption of the August 18th minutes. Do we have the minutes  
14 ready for us to look at? I think we have, and that's been  
15 shared.

16 Julie, would you like to move adoption and  
17 then we can begin discussion?

18 SECRETARY PARSLEY: Okay. I move that the  
19 minutes be adopted.

20 VICE PRESIDENT HOCHSTETTER: I second that  
21 motion.

22 PRESIDENT BODE: Moved and seconded. Is there  
23 any discussion or any changes or corrections on the minutes?

24 (No response)

25 If not, all in favor "aye."

4

1 (All those wishing to vote in favor did so)

2 PRESIDENT BODE: All opposed?

3 (No response)

4 PRESIDENT BODE: Okay. The minutes are

Attachment 1 - transcript

5 adopted.

6 (Phone tone) the updates -- I think the first  
7 update we have is by David King, the ROC Treasurer.

8 MR. MONTROYA: Madam Chair, this is Ben Montoya  
9 for David King. I think he's submitted to the Committee the  
10 latest travel policy, and I think -- he asked me to just  
11 have you-all just review it, and, if it is fine with  
12 you-all, to make a motion to have it approved.

13 PRESIDENT BODE: Okay. We're going to take  
14 that up under our business meeting, if that's okay with you,  
15 Ben?

16 MR. MONTROYA: Yes, ma'am.

17 PRESIDENT BODE: Is there anything else that  
18 you have with regard to funding, financing, budget, anything  
19 like that that you need to bring to our attention just as a  
20 report or an update?

21 MR. MONTROYA: No, ma'am, not at this time.

22 PRESIDENT BODE: Okay. Thank you.

23 Are there any other updates by any of the  
24 other officers that you need to bring to our attention?

25 SECRETARY PARSLEY: I just want to remind

5

1 everybody there's a sign-in sheet going around, and if  
2 everybody would sign in and -- we have a court reporter  
3 that's taking minutes, so, if you are speaking, please  
4 identify yourself for the record and say "yes" and "no" as  
5 opposed to shaking.

6 PRESIDENT BODE: And prior to the beginning of  
Page 4

Attachment 1 - transcript

7 our business meeting -- I'm going to allow a little bit more  
8 time for these reports, but before we start actually doing  
9 reports and discussion and voting, I'm going to ask for  
10 everyone on the telephone to identify themselves for the  
11 record. And I'll let more people kind of check in in the  
12 interim phase here.

13 Okay. The next thing that we have on the  
14 agenda is an update by the Federal Energy Regulatory  
15 Commission. Do we have an update or --

16 VICE PRESIDENT HOCHSTETTER: Is Tony Ingram  
17 on the phone?

18 (No response)

19 PRESIDENT BODE: Okay. No update.

20 All right. Anything from Southwest Power  
21 Pool? Nick?

22 MR. BROWN: The primary item from Southwest  
23 Power Pool's perspective is also a FERC perspective. We  
24 were docketed on yesterday's agenda for the FERC on our RTO  
25 application. Unfortunately, that was -- actually it was for

6

1 today. It was pulled yesterday.

2 My understanding and dialogue with Pat Wood is  
3 that it will be issued very shortly -- next week is what I  
4 was told notationally.

5 The outstanding issue appears to be the joint  
6 operating agreement between ourselves and the Midwest ISO  
7 that we filed in an unexecuted fashion between ourselves and  
8 the Midwest ISO over what form of agreement we should reach.



Attachment 1 - transcript

9 Our document is -- contains provisions that is -- that are  
10 acceptable to the Midwest ISO and, in fact, are the  
11 identical provisions in an agreement between the Midwest ISO  
12 and PJM on nonmarket-to-nonmarket issues.

13 The Midwest ISO-PJM joint operating agreement  
14 also contains market-to-nonmarket provisions that have been  
15 worked out between the Midwest ISO and PJM, and the Midwest  
16 ISO would like for us to just unilaterally agree to those  
17 same provisions, to which we responded, "No, we would not  
18 without going through our stakeholder process and getting  
19 input from our members on that."

20 If you recall, FERC gave us 30 days to comply  
21 with the conditions in the last order. And while we did in  
22 fact host a stakeholder meeting, it was to reach consensus  
23 on the nonmarket-to-nonmarket issues that we're, quite  
24 frankly, operating under today. Neither organization has a  
25 market up and operating yet, and the Midwest ISO's own

7

1 schedule is not to implement until, I believe, February or  
2 March of next year to the extent that they meet that  
3 schedule.

4 While I will agree that the Midwest ISO-PJM  
5 agreement is a good starting point -- because we were  
6 involved in some of those negotiations, quite frankly, many  
7 years back during merger talks -- still will not allow a  
8 bilateral agreement between two other entities to, in  
9 effect, set a national standard to which we would be held  
10 accountable.

Attachment 1 - transcript

11                   So, bottom line, a lot of people have  
12 intervened around that particular issue and comments -- many  
13 comments from a lot of participants were filed as late as  
14 last Friday. So, as a result, the Commissioners have a lot  
15 of new material to read and dissect. But my understanding  
16 is they're very close, but they still wanted to go through  
17 the comments.

18                   VICE PRESIDENT HOCHSTETTER: Okay.

19                   PRESIDENT BODE: Any comments or questions  
20 from anybody?

21                   (No response)

22                   PRESIDENT BODE: Okay. Staff, do y'all have  
23 any comments or questions for Nick?

24                   (No response)

25                   Anything else, Nick, that you want to bring to

8

1 our attention?

2                   MR. BROWN: That's it.

3                   PRESIDENT BODE: Where are we on the -- where  
4 are we on the low-hanging fruit issue?

5                   MR. BROWN: The low-hanging fruit issue, what  
6 we call, I guess, Schedule AA?

7                   PRESIDENT BODE: You started it.

8                   (Laughter)

9                   MR. BROWN: Yes, I did. And I want to finish  
10 it, too.

11                   We actually have complied with the request for  
12 additional information. So right now it's in their hands.

Attachment 1 - transcript

13 PRESIDENT BODE: Holding pattern --

14 MR. BROWN: Well, we did utilize a meeting in  
15 last week in Kansas, the Kansas Transmission Summit, to,  
16 again, twist Pat's arm and others on that particular  
17 initiative. And we certainly have visited in detail with  
18 Tony Ingram, who is now the FERC representative located in  
19 Little Rock. They understand the need to push that  
20 through --

21 PRESIDENT BODE: Okay.

22 MR. BROWN: -- so they say. So, hopefully,  
23 we'll get that moved along very, very quickly. We very much  
24 appreciate the comments on behalf of RSC in support of that.

25 PRESIDENT BODE: Okay. Thank you.

9

1 Anything else that anybody else has that --

2 (No response)

3 PRESIDENT BODE: All right. Let's move on to  
4 the business meeting. Before we begin our official business  
5 meeting, let's record whoever is on -- whoever is checked in  
6 with us by telephone so that we can have you part of our  
7 official minutes.

8 SECRETARY PARSLEY: And please speak slowly  
9 and spell your name if it's in any way confusing.

10 PHONE PARTICIPANT: (Inaudible) with American  
11 Electric Power.

12 MS. GALLUP: Terri Gallup with AEP.

13 MR. YAKKI: Al Yakki (phonetic) with AEP.

14 MS. SHAKRI SHNA: Rik Shakri shna with EEI.

Attachment 1 - transcript

15 SECRETARY PARSLEY: Could you please spell  
16 your name?  
17 MS. SHAKRI SHNA: That's R-i-k  
18 S-h-a-k-r-i-s-h-n-a.  
19 SECRETARY PARSLEY: Thank you.  
20 COMMISSIONER GAW: This is Steve Gaw, Missouri  
21 Commission.  
22 PRESIDENT BODE: Hey, Steve. How do you spell  
23 that?  
24 (Laughter)  
25 COMMISSIONER GAW: "How do you spell that?"

10

1 That's a question I get asked all the time.  
2 PRESIDENT BODE: Golly. Okay.  
3 MR. LOUDENSLAGGER: Sam Loudenslager, Larry  
4 Cochran and Diana Brenske with the Arkansas Commission.  
5 SECRETARY PARSLEY: Can you spell Diana's last  
6 name real quickly?  
7 MR. LOUDENSLAGGER: B-r-e-n-s-k-e.  
8 SECRETARY PARSLEY: Thank you.  
9 MR. MONTOYA: Ben Montoya on behalf of  
10 Commissioner David King from New Mexico, M-o-n-t-o-y-a.  
11 MS. LATHE: Kelly Lathe (phonetic) and David  
12 Dikeman (phonetic), Oklahoma Corporation Commission.  
13 MR. FARRAR: Also Ed Farrar (phonetic) and  
14 Karen Forbes with Oklahoma Commission.  
15 MR. KAYS: David Kays and John Dennis  
16 (phonetic) with Oklahoma Gas & Electric.

Attachment 1 - transcript

17 SECRETARY PARSLEY: I'm sorry, Kays?  
18 MR. KAYS: Kays, K-a-y-s.  
19 SECRETARY PARSLEY: Thank you.  
20 MR. KAYS: Thank you.  
21 MR. GILLAM: Terri Gillam, Southwestern  
22 Power Administration.  
23 MR. SHIELDS: Robert Shields (phonetic) with  
24 Arkansas Electric Cooperative.  
25 MR. STUHLIK: Tom Stuchlik and Dick Ross and

11

1 Dennis Reed from Western Energy.  
2 SECRETARY PARSLEY: I'm sorry, we couldn't  
3 hear the first name.  
4 MR. STUHLIK: Tom Stuchlik. You want me to  
5 spell it for you?  
6 SECRETARY PARSLEY: Please.  
7 MR. STUHLIK: S-t-u-c-h-l-i-k.  
8 SECRETARY PARSLEY: Thank you.  
9 PRESIDENT BODE: Is there anybody else?  
10 MR. LITTLETON: (Inaudible) Littleton with the  
11 Oklahoma Municipal Power Authority.  
12 MR. LUVIN: Bernie Luvin (phonetic), Excel  
13 Energy.  
14 PRESIDENT BODE: Anybody else?  
15 MR. WYLIE: Bill Wylie, OG&E.  
16 PRESIDENT BODE: Anyone else? Okay. Let's  
17 move on to our business meeting. If someone else comes in,  
18 if you would -- or if you haven't had your name read out,

Attachment 1 - transcript

19 please let us know.

20 The first issue that we have on  
21 previously-discussed issues is our cost/benefit study that's  
22 been commissioned by the SPP RSC, and I think that's kind of  
23 top priority for this meeting is that issue, right?

24 VICE PRESIDENT HOCHSTETTER: Was this the  
25 cost/benefit analysis or the cost allocation working group?

12

1 I don't remember --

2 PRESIDENT BODE: The cost/benefit study.

3 VICE PRESIDENT HOCHSTETTER: That would be a  
4 quick update from Sam Loudenslager.

5 MR. LOUDENSLAGGER: I'm here if y'all want to  
6 hear that.

7 (Phone tone)

8 PRESIDENT BODE: Right.

9 SECRETARY PARSLEY: Yes, sir, please.

10 MR. LOUDENSLAGGER: Yes, Commissioners. Right  
11 now -- quick status report is -- we're working through three  
12 items with the consultants and with the members. The first  
13 is the contract itself, still working through that. The  
14 second is the methodology and assumptions memo. The third  
15 is ensuring that the data gets submitted to the consultants  
16 from the members and the SPP that the consultants need.  
17 Right now I'm hoping that we can wrap up the assumptions  
18 memo and the transfer of the data by this Friday.

19 What I would tell you is that you need to keep  
20 in mind we're probably a month behind schedule right now and

Attachment 1 - transcript

21 counting. So -- and we didn't have -- we didn't have any  
22 fat in the schedule to begin with, so that's kind of where  
23 we're at right now. The -- everybody has been working  
24 diligently to try to finalize this, both the members of the  
25 SPP, the SPP staff and the RSC staff. We're just not there

13

1 yet.

2 VICE PRESIDENT HOCHSTETTER: Sam, this is  
3 Sandy. If the internal target dates that you've set just  
4 within the last few days for folks to get the data to the  
5 consultants are met, will the, I guess, 30-day extension and  
6 the time schedule hold such that we'd be looking at the end  
7 of November for the consultants' analysis.

8 MR. LOUDENSLAGGER: Yeah. The way I'm looking  
9 at it right now is if everything falls into place this week,  
10 we're probably looking at a final report to be issued by the  
11 end of November.

12 PRESIDENT BODE: Okay.

13 MR. LOUDENSLAGGER: I guess that was a long  
14 "yes," Chairman.

15 VICE PRESIDENT HOCHSTETTER: Thank you, Sam.

16 MR. LOUDENSLAGGER: Sorry.

17 PRESIDENT BODE: Are there any other comments  
18 by any of the other folks on the cost/benefit study working  
19 group?

20 MR. LOUDENSLAGGER: This is Sam again. Can I  
21 ask a question?

22 PRESIDENT BODE: Sure.

Attachment 1 - transcript

23 MR. LOUDENSLAGGER: Can y'all provide me some  
24 guidance on the issue of who will actually be signing the  
25 contract? I believe last week there was a discussion about

14

1 the bylaws require two of the officers of the RSC to sign.  
2 Is that right?

3 SECRETARY PARSLEY: I don't have my copy of  
4 the bylaws right here. This is Julie. I think --

5 MR. BROWN: I think that was on expenses.

6 SECRETARY PARSLEY: I think it's on expenses  
7 that it's two signatures.

8 UNIDEN. SPEAKER: I think we talked about this  
9 at the last meeting -- maybe on the minutes.

10 VICE PRESIDENT HOCHSTETTER: On Page 8 of the  
11 bylaws it says that, "Contracts may be entered into or debts  
12 incurred only as directed by resolution of the SPP RSC Board  
13 of Directors." So it may be that -- from a signature  
14 standpoint -- you know, as Nick pointed out -- a contract is  
15 distinct from expense approval. So it may be that only one  
16 officer perhaps is necessary to sign on behalf of the RSC as  
17 opposed to two. You know, I'm legally authorized in  
18 Arkansas to sign for these types of contracts. Julie, you  
19 may be -- I know Denise had expressed some concerns from an  
20 Oklahoma standpoint. I don't know if you have similar  
21 issues in Texas or not.

22 PRESIDENT BODE: Well, generally, Joyce, our  
23 Director of our Public Utility Division on contracts entered  
24 into with consultants on public utility issues -- Joyce is



Attachment 1 - transcript

25 our signatory on those issues, not the Commissioners. So if

15

1 we need to have, you know, her designated to sign for me,  
2 then we can do that. But if we've got sufficient signatures  
3 (phone tone) without me signing it, then I think that would  
4 be the way to go.

5 SECRETARY PARSLEY: And typically that's --  
6 our general counsel is our signatory as well -- or our  
7 Executive Director, one or the other.

8 MR. PETERS: Excuse me, this is Mike Peters at  
9 the KCC. It doesn't seem to me to be particularly  
10 controversial. Article nine four plainly states that for  
11 contracts and other things two signatures are required, the  
12 president or vice president and one other officer or the  
13 Executive Director and it doesn't seem to be ambiguous. I'm  
14 not sure --

15 VICE PRESIDENT HOCHSTETTER: Thank you for  
16 actually reading all of the bylaws, Mike. I skipped that  
17 part. You're right. Okay.

18 Well, I can certainly be one of those  
19 officers. And since we don't have an Executive Director, it  
20 sounds like we'll need a second officer. So that would need  
21 to be David King or Julie, I guess, if -- depending upon  
22 what your Texas situation is.

23 MR. LOUDENSLAGGER: Okay. Thank you.

24 PRESIDENT BODE: Ben, can David sign this?

25 Ben? Ben Montoya, are you on the phone?

1 (Phone tone)

2 MR. MONTOYA: Okay. I'm back on again.

3 PRESIDENT BODE: Okay. The question arises  
4 over signing the SPP RSC cost/benefit analysis contract. Is  
5 there any prohibition on Commissioner King signing that as  
6 an officer and our treasurer?

7 MR. MONTOYA: At this point I think there's  
8 still some negotiations going on with that, but my  
9 understanding is that -- has not been a clear indication  
10 from either the attorney general or our attorney here that  
11 there is a prohibition against it.

12 PRESIDENT BODE: Okay. Well, you know, if you  
13 could check on that, I think we're getting close to needing  
14 a signature, so we need to determine who else is going to be  
15 our second signature on this.

16 SECRETARY PARSLEY: And I'll get our General  
17 Counsel to look at it, too, just to see, so that way we can  
18 figure that out just in case.

19 PRESIDENT BODE: Okay. Thank you -- we'll  
20 look into who can do it, and we'll get whatever is necessary  
21 in order to comply with the bylaws before it comes time to  
22 sign.

23 Is there any other discussion on that? Is  
24 there any input that you need, Sam, other than what we've  
25 given you?

1 MR. LOUDENSLAGGER: No, ma'am. I just wanted  
2 to --

3 PRESIDENT BODE: You want to make sure and get  
4 it signed, huh?

5 MR. LOUDENSLAGGER: (Inaudible)

6 PRESIDENT BODE: You want to make sure if you  
7 get it agreed to you can get it signed and out as quickly as  
8 possible, huh?

9 MR. LOUDENSLAGGER: You're reading my mind.  
10 Thank you.

11 PRESIDENT BODE: Thank you. Okay. Let's move  
12 on. If there's no required vote on this item, then I think  
13 we'll move on to the cost allocation working group and we  
14 need a report on that. Is that you, Mike?

15 MR. PROCTOR: I think so. In front of you,  
16 Commissioners, is a handout -- a summary -- that was  
17 distributed last week on the transmission expansion cost  
18 allocation proposal that we've prepared for you-all. And,  
19 hopefully, you've had a chance to look at it and look at  
20 some of the issues that are involved with it, and we'd like  
21 to have some time to discuss that with the board today.

22 Basically, if you -- I don't want to spend a  
23 lot of time on going through the slides, because I think  
24 what we're really here for is to hear where the various  
25 state commissions are on these particular issues. What I

Attachment 1 - transcript

1 will do is kind of say that the second page of your handout  
2 has (phone tone) Slides 3 and 4 on it and people out there  
3 may or may not have copies and they may want those copies.

4 Slide 3 shows the areas of agreement on the --  
5 among the cost allocation work group. And, basically, what  
6 we have agreed to is to look at upgrades -- base plant  
7 upgrades, and, essentially, those are upgrades that are done  
8 looking at the reliability of the system. And we have -- we  
9 believe that it is proper to include new designated  
10 resources in this plan and load growth. But those need to  
11 be included in the base plan that is being looked at for  
12 reliability purposes.

13 Then that raises some issues, and the issues  
14 are found on Slide 4. And one of the major issues there is,  
15 well, what level of flexibility do people have in  
16 designating network resources to meet their load growth?  
17 More details of that are laid out in the rest of the  
18 summary, but that's one of the issues that we need some  
19 feedback from -- from the state commissions and also from  
20 the stakeholders -- and are there any limits on this, how --  
21 you know, can I -- if I want to, can I put in 200 percent of  
22 my peak load as network resources, or is there some limit to  
23 it? Should it only be 125 percent of that or what should  
24 that be?

25 Other limits that were talked about was should

19

1 something that's a real short-term contract be allowed to be  
2 in this -- in this plan, something that you only have a two-

Attachment 1 - transcript

3 or three-year contract on, or should you require ten-year or  
4 seven-year contracts in order for it to go into this plan,  
5 because you're going to be building transmission facilities  
6 that are going to be there for 30 years. So that was one of  
7 the other items that was discussed. Anyway, that's one of  
8 the things we wanted to get some feedback on today.

9                   And the other parts of it on Slide 4 -- the  
10 other two questions -- are what percentage of the upgrade  
11 costs -- and we've called it "x" percent here -- should go  
12 into a systemwide, postage-stamp-type of rate that gets  
13 charged to everyone? And for the remainder -- the remaining  
14 portion of that upgrade cost, how does that get allocated to  
15 the various zones? As you know, the zones are essentially  
16 the transmission owners. I don't want to -- that's not  
17 quite exactly right, but it's close to right -- the various  
18 control areas in these zones.

19                   And so in the past the status quo has been if  
20 you built it in the zone, then that cost went to the zone.  
21 Okay? And the argument has been -- and we've listened to  
22 these arguments now for a month -- that there are more than  
23 just benefits to a single zone when you put an upgrade in  
24 the zone. And we've looked at various types of flow  
25 studies. SPP has put some together for us that indicate

20

1 that there are multi-zone benefits to an upgrade that's  
2 built in the single zone. So we have to address that one.

3                   That one is typically a little bit more  
4 technical. This is where a lot of the flow-based methods

Attachment 1 - transcript

5 that people have been interested in have come into place.  
6 SPP has put together some flow-based methods, and I don't  
7 want to simplify, but, basically, they focus on  
8 megawatt-mile measures to indicate benefits.

9 And AEP has also proposed a method where  
10 they've looked at primarily the economic benefits of an  
11 upgrade, whether it's an economic upgrade or a reliability  
12 upgrade. It really doesn't matter. Those upgrades,  
13 whatever it is, do produce economic benefits, and their  
14 flow-based method is essentially a -- a least-cost dispatch  
15 in the whole region to find out do costs go down when you do  
16 these upgrades and in what zones do those costs go down?  
17 And that's the measure -- the measure that AEP essentially  
18 has put forward, and we just got those results yesterday.

19 VICE PRESIDENT HOCHSTETTER: Do you have those  
20 results to share with us today, Mike.

21 MR. PROCTOR: I believe SPP has a copy. Those  
22 have been sent out --

23 VICE PRESIDENT HOCHSTETTER: Because I don't  
24 know see their methodology listed on your Slide 6, and I  
25 think we very much need to consider it as one of the

21

1 flow-based methodologies.

2 MR. PROCTOR: Well, I think it's listed on  
3 Slide 7. Okay?

4 MR. BROWN: Yeah.

5 MR. PROCTOR: And by the way, I have found out  
6 that while the original proposal was to do benefits by net

Attachment 1 - transcript

7 import, that's not what the proposal is now. The proposal  
8 now is to look at the decrease in cost in each of the zones.

9 VICE PRESIDENT HOCHSTETTER: Decrease in  
10 generation costs as a result of the transmission upgrades?

11 MR. PROCTOR: Yes -- well, no, not generation  
12 costs. They're basically using an LMP model. So they're  
13 looking at the decrease in cost as measured by the price.

14 VICE PRESIDENT HOCHSTETTER: But that would be  
15 the wholesale generation market price similar to the CERA  
16 study that was done recently? Is that accurate?

17 MR. PROCTOR: I would think so.

18 VICE PRESIDENT HOCHSTETTER: Is that correct?

19 MR. PROCTOR: I'm not familiar with the other  
20 study that --

21 UNIDEN. SPEAKER: Terri is on the line. She  
22 may be able to answer that.

23 VICE PRESIDENT HOCHSTETTER: Could someone  
24 answer that question for me that's on the phone?

25 MS. GALLUP: I'm sorry, I didn't hear what the

22

1 question was.

2 VICE PRESIDENT HOCHSTETTER: Mike Proctor was  
3 describing the AEP flow-based model, and he analogized --  
4 well, he described it as a method whereby you use LMP to  
5 determine which zones receive reductions in wholesale  
6 generation costs as a result of the transmission upgrades.  
7 Is that accurate -- and accurate description, Terri?

8 MS. GALLUP: That (inaudible)

9 VICE PRESIDENT HOCHSTETTER: Pardon me? Did  
10 you say "yes," Terri? I'm sorry, you kind of broke up  
11 there.

12 MS. GALLUP: I'm sorry, yes.

13 VICE PRESIDENT HOCHSTETTER: Okay. Thank you  
14 very much.

15 MS. GALLUP: You're welcome.

16 SECRETARY PARSLEY: And, I'm sorry, would  
17 everybody remember to identify themselves when they talk?  
18 That would be really helpful. Thanks.

19 MR. PROCTOR: And I thought what we might do,  
20 if it's okay with the board, to start out with, I don't  
21 think we need to go on to the economic upgrades right now.  
22 I would like to get back to that if we have time. But,  
23 clearly, the priority, I think, of the CAWG is on the  
24 base-funded upgrades, the ones that are necessary for  
25 reliability purposes.

23

1 And we've laid out three questions, and  
2 believe me -- if Commissioner Gaw is still on the phone --  
3 it's hard to answer these three questions -- you know, to  
4 come out with specific answers to each of those.

5 But what I'd like to do, if we could this  
6 afternoon, is have some discussion among the board members  
7 as to where -- generally where they're at on these issues --  
8 on the base issues that we've laid out. So I'm going to  
9 stop talking and start listening and taking notes here,  
10 because we need some guidance on this as a group.



Attachment 1 - transcript

11 VICE PRESIDENT HOCHSTETTER: Denise, do you  
12 want to start or do you want --

13 PRESIDENT BODE: Go ahead.

14 VICE PRESIDENT HOCHSTETTER: -- someone else  
15 to jump in? If we start with Slide 3, Mike, I'd say that,  
16 you know, I'm certainly in agreement with those particular  
17 concepts that it looks like the CAWG is in agreement on. I  
18 think where we need to start answering questions is at Slide  
19 4, if I'm not mistaken.

20 And I would say that -- I guess one of the  
21 first questions has to be the level of flexibility that we  
22 should accord transmission owners in terms of changing  
23 resource designations in the base plan. If you want to  
24 start there -- do you want to start with a different issue  
25 first?

24

1 MR. HOLLOWAY: Excuse me. It wouldn't just be  
2 transmission owners. It would also be transmission users.

3 VICE PRESIDENT HOCHSTETTER: I'm sorry, the  
4 transmission -- the TDUs, like co-ops and munis. Thanks for  
5 the correction, Larry, yes.

6 PHONE PARTICIPANT: (Inaudible) actually more  
7 of the network integration transmission service customers  
8 that would be signed up under the SPP tariff.

9 VICE PRESIDENT HOCHSTETTER: Okay. Thanks for  
10 the clarification.

11 One of the questions I asked last Wednesday on  
12 the call -- and I guess to skip over to Slide 5 -- I'm an

Attachment 1 - transcript

13 Option 3 sort of a person -- or at least that's the  
14 direction I'm leaning -- that there needs to be some  
15 flexibility for changing network resources, but I do think  
16 there needs to be a commitment to serve the load on behalf  
17 of that change designation. And I think that we could do  
18 that either via demonstration of long-term contract, whether  
19 it be 5, 7, 10 years, 20 years, whatever. I mean, I  
20 don't -- I think something significantly greater than one  
21 year is appropriate, particularly if a certain percentage of  
22 this is going to be rolled into a region-wide postage stamp  
23 rate. And I think -- you know, I'm open to discussion on  
24 how -- whether it's a contract link that we need to be  
25 looking at or whether it's the type of generation.

25

1 I think last Wednesday I asked the question  
2 about whether or not we should look at baseload generation  
3 as, you know, something that is a long-term resource, that,  
4 you know, could qualify in the category of a resource that  
5 can be redesignated or changed and then rolled into, you  
6 know, regional rates to a certain percentage versus just  
7 looking at contract links -- or maybe some variation or  
8 combination of the two, looking at the type of generation  
9 resources as well as the length of the contract.

10 SECRETARY PARSLEY: This is Julie, and I guess  
11 I'm asking this question because I'm -- this is something  
12 I'm ignorant of in SPP. In ERCOT we don't have a lot of  
13 contracts go beyond three years, so I'm curious -- it seems  
14 to me like anything beyond a three-year contract would be

Attachment 1 - transcript

15 difficult to find, so I'm just curious how many long-term  
16 contracts are there in SPP? And how long is the length?  
17 I'm just curious, because if we say they have to be 10-year  
18 contracts, yet there are no 10-year contracts, then we've  
19 created an impossible hurdle. So I'm just trying to find  
20 out what those contracts are.

21 MR. BROWN: The overall magnitude of the  
22 longer-term ones are very small, but we do have SWPA as a  
23 prime example that has very lengthy terms, but the magnitude  
24 is very, very small.

25 PRESIDENT BODE: By lengthy terms?

26

1 MR. BROWN: I've heard them characterize it as  
2 perpetual.

3 SECRETARY PARSLEY: Okay.

4 VICE PRESIDENT HOCHSTETTER: If you were an  
5 LSE -- and I think this is the question Julie is getting  
6 to -- if you were a load-serving entity like, let's say, AEP  
7 and you were going to go out in and, in lieu of building and  
8 owning -- you know, self-building a generation plant -- how  
9 long would a baseload generation contract be for? Or, if  
10 you were a co-op or a muni, how long would a new baseload or  
11 even intermediate -- I understand peaking contracts are  
12 short-term in nature -- but if it was baseload or  
13 intermediate, what's the length of term -- contract term?  
14 Does anybody in here --

15 MR. DESSELLE: This is Michael Desselie. And  
16 I think Terri has an answer to this from AEP's perspective,

Attachment 1 - transcript

17 I think we're thinking about seven years as a minimum.

18 Terri, is that right?

19 MR. LOUDENSLAGGER: Michael, this is

20 Sam Loudenslager. How long?

21 VICE PRESIDENT HOCHSTETTER: He said seven,

22 Sam.

23 MR. LOUDENSLAGGER: Thank you.

24 MR. PROCTOR: Is Terri on the phone?

25 MS. GALLUP: Yes, this is Terri. That's what

27

1 we propose.

2 SECRETARY PARSLEY: How many contracts would  
3 that be or what percentage would that be of --

4 MS. GALLUP: This is Terri again. I don't  
5 know how many that would be. I was -- we just came up with  
6 that value. Some people had been talking about 3 and some  
7 at 10, and AEP felt 7 (inaudible).

8 PHONE PARTICIPANT: (Inaudible) not only  
9 talking about contracts here, but you're also talking about  
10 owned generation. You're talking about a -- maybe a coal  
11 plant you're building (inaudible) that's got another 20 or  
12 30 years of life on it. That's also considered as  
13 designated network resource underneath the tariff.

14 MS. GALLUP: And for AEP's 7 years we were  
15 trying to come up with something that was far enough out  
16 that if you're going to build transmission and have it  
17 rolled into rates that it was going to be there a while if  
18 everybody was going to be paying for it.

19 MR. PROCTOR: I can -- Julie, I can answer the  
20 question for Missouri, because I'm familiar with the  
21 contracts. Probably every once in a while we will see a  
22 short-term contract -- you know, a year or less. Most of  
23 the contracts are 5 years, I'd say, up to 10 years in length  
24 that our utilities have entered into. But these are  
25 regulated utilities. These are not -- they're not

28

1 load-serving entities that are trying to serve retail load  
2 on a competitive basis. And I think that's kind of where  
3 some of this trade-off occurs is. It's kind of the  
4 difference between the way regulated utilities function and  
5 the way that load-serving entities function in a  
6 nonregulated environment.

7 SECRETARY PARSLEY: Well, maybe -- that's kind  
8 of why -- this is Julie again -- maybe that's why it's a  
9 little confusing because we've got merchant generation in  
10 here as well, and so we have the integrated utilities that  
11 function, by necessity, differently than the merchant  
12 generators, and the merchant generators are supposed to have  
13 open access to the transmission system. So I'm just worried  
14 about making a contract requirement that is so long that  
15 it's not really feasible to be met.

16 VICE PRESIDENT HOCHSTETTER: I think that the  
17 retail competition environment that you're in here in Texas  
18 is what makes your contract length so short relative to what  
19 it is in the other states. If you're a load-serving entity  
20 under a monopoly public service obligation as we have in the

Attachment 1 - transcript

21 other states and they are -- you know, they have to  
22 perpetually serve, you know, a set of customers for a long  
23 period of time, they'll have a portfolio of contracts. But  
24 I would imagine that for the majority of at least baseload  
25 contracts, the contracts would be very -- it it's not a

29

1 self-build and self-owned for the life of the asset, it  
2 would be a very long-term contract -- at least 10 years.

3 I guess the intermediate term -- the  
4 intermediate-type of generation would be shorter term in  
5 duration.

6 SECRETARY PARSLEY: How would someone who is a  
7 merchant generator get a 10-year contract if it didn't have  
8 the transmission to move the power out from its generating  
9 unit to the load?

10 VICE PRESIDENT HOCHSTETTER: They would  
11 negotiate those two things simultaneously I would imagine.  
12 They'd negotiate a contract with an LSE and --

13 SECRETARY PARSLEY: I think we may -- I mean,  
14 kind of a chicken and egg sort of idea. I'm a little -- I  
15 just worried -- I'm just curious about that, too. How does  
16 that happen? How does that work?

17 VICE PRESIDENT HOCHSTETTER: Does Bruce  
18 want to -- I think Bruce wants to -- is dying to answer that  
19 question.

20 MR. REW: Bruce Rew with SPP. In Southwest  
21 Power Pool the transmission request would be made through  
22 the SPP tariff for transmission service and then we would

23 evaluate that and build any new transmission facilities that  
24 were necessary for the long-term request.

25 SECRETARY PARSLEY: I guess the question is,

30

1 though, how would you maintain -- if you had to wait for the  
2 transmission to be built, then it seems that the contractors  
3 would not be willing to hold a contract for the length of  
4 time it would take to actually build the transmission.  
5 We've had some of these issues here as well, and you end up  
6 with a chicken and an egg sort of an issue because you need  
7 the transmission, but you can't get the transmission without  
8 a contract, but you can't get the correct without the  
9 transmission, because you can't move the power out. So you  
10 can't actually execute the contract.

11 VICE PRESIDENT HOCHSTETTER: How many years in  
12 advance do folks start negotiating these generation deals  
13 knowing that they have to build incremental transmission?

14 SECRETARY PARSLEY: That's a good question.

15 VICE PRESIDENT HOCHSTETTER: Can you identify  
16 yourself?

17 MR. BRIAN: Yes, ma'am. David Brian, and I'm  
18 here on behalf of several of the TDUs, and I did want to  
19 respond.

20 You know, as to your specific question,  
21 typically, I think it's anywhere from one to three years out  
22 that load-serving entities, particularly some of the  
23 wholesale customers that I represent, get started making  
24 those plans. And, you know, as far as the term of

25 commitment, you know, we are seeing a lot of resistance from

31

1 suppliers in terms of pricing power any further out than  
2 about five to seven years these days. You're talking about  
3 someone who is actually purchasing power off the market and  
4 reselling it to you.

5           A lot of the reason for that is the  
6 uncertainty in the markets. Currently, you know, the SPP  
7 market is evolving. There are rules being discussed as far  
8 as how the market will work going forward, how the  
9 congestion management scheme will work, all those types of  
10 things, and nobody right now knows how the market is going  
11 to look beyond next year. And it's very difficult to get  
12 any sort of competitive market or any sort of competitive  
13 bid or sort of commitment from a supplier for anything  
14 longer than a couple of years right now.

15           Now, that's different if you're subscribing to  
16 a power plant. If you're an entity that's going and  
17 negotiating with a power plant developer for jointly  
18 developing -- building a unit for yourself, that's a  
19 different situation. And I guess what we're concerned about  
20 is if you've got something that's longer than somewhere in  
21 the three-year range, which is what we've been proposing,  
22 you're going to change the market by doing that, because  
23 it's going to drive people to longer-term resources. And  
24 what you see in some of the more advanced markets like ERCOT  
25 are people going to shorter terms because the transmission



1 is there, the market is robust, the competition is robust,  
2 and people can have more choices. And that's really what,  
3 you know, we believe the name of the game should be here.

4 SECRETARY PARSLEY: May I ask a really quick  
5 follow-up question?

6 MR. BRIAN: Yes.

7 SECRETARY PARSLEY: You said if you were  
8 self-building it would make -- it would change the  
9 situation, but I didn't really understand how. Could you  
10 just explain that really quickly.

11 MR. BRIAN: Sure. I mean, if -- obviously if  
12 you're -- if you're committing to a power plant, that's a  
13 long-term obligation. And you can do that a couple of  
14 different ways. You can build one yourself or with a  
15 partner, or you can agree to be an anchor tenant in a plant  
16 that an IPP is developing. And those situations, you know,  
17 a lot of those are significantly longer-term commitments  
18 than -- than you would see if you were just buying power  
19 under a purchased power contract.

20 SECRETARY PARSLEY: What size TDUs do you  
21 represent?

22 MR. BRIAN: Generally speaking, they are from  
23 50 megawatts up to about 600 megawatts, if that is the  
24 number you're looking for. I'm an engineer, so I talk  
25 megawatts.

1 (Laughter)

2 SECRETARY PARSLEY: That's good. So it's  
3 mid-size to smaller?

4 MR. BRIAN: Yes, mid-size to smaller TDUs.

5 PRESIDENT BODE: So which option did -- which  
6 option are you -- do you prefer?

7 MR. BRIAN: We lean towards the three-year  
8 side --

9 PRESIDENT BODE: Okay.

10 MR. BRIAN: Because that's -- really today  
11 that's where the market seems to be.

12 SECRETARY PARSLEY: Is it possibly a market  
13 power issue at all or --

14 MR. BRIAN: It absolutely can be a market  
15 power issue.

16 SECRETARY PARSLEY: Can you explain that to  
17 me?

18 MR. BRIAN: Yes, I can. You know, the markets  
19 are still evolving. There's still a lot of leftover  
20 incumbent generation, and particularly in some areas -- I  
21 don't know if y'all have been following some of what FERC  
22 has been doing on market power, but some areas, even in SPP  
23 and SWEPCO's area, that was identified as being an area  
24 where there may be some market power issues. And those are  
25 of major concern for us, because if you don't get the

Attachment 1 - transcript

2 market power issues don't get resolved. You need  
3 transmission built to provide generation alternatives and to  
4 provide more competition.

5                   So, yeah, we lean towards the shorter term.  
6 Get the transmission built, create a more robust grid, and  
7 allow competition to happen and less of these market power  
8 issues raised. We don't like raising them. We don't like  
9 to see them raised. We'd like to see the market power  
10 issues resolved.

11                   VICE PRESIDENT HOCHSTETTER: If you have a  
12 shorter-term contract parameter or criteria in here, should  
13 that maybe be taken out of the base plan and put into the  
14 participant funding category where, you know, the person  
15 makes up-front payments to have the upgrade built, they get  
16 credits against the cost of their transmission service, and  
17 then at a future point in time when there's, you know, a  
18 wide swath of beneficiaries demonstrated, then it gets  
19 rolled into a regional rate or several zonal rates?

20                   MR. BRIAN: That would make sense. You know,  
21 actually, to be honest, the 3-year is sort of a compromise  
22 for us. We would like to see the system robust enough to  
23 accommodate shorter-term contracts than 3 years. We also  
24 have -- my clients also have load in ERCOT. There's no such  
25 requirement in ERCOT, and in ERCOT load-serving entities --

35

1 which include the co-ops, the muni s and the IOUs -- all  
2 submit their annual load and resource plans. The system --  
3 the ISO plans to build to meet those plans.

Attachment 1 - transcript

4                   In the meantime, if the IOUs or the co-ops or  
5 what have you can't get the transmission built, they are  
6 faced with congestion charges until the upgrades are built.  
7 And that's sort of the short-term issue you face as a  
8 load-serving entity. If you don't give the ISO enough  
9 notice to build something to meet your needs and get it in  
10 the plan to get it built, then you will face congestion  
11 charges until those upgrades are built and put in place.

12                   So that's -- you know -- and the problem we've  
13 got here, of course, is we can't say that's the way it's  
14 going to be in SPP because the market development rules are  
15 lagging behind what we're doing here. So that's why, you  
16 know, we're willing, I guess, to consider, you know, some  
17 sort of term commitment on these upgrades.

18                   SECRETARY PARSLEY: What Sandy described, I  
19 guess, is Order 2003 A -- the procedure set out in there.  
20 And did you say you agreed with that or --

21                   MR. BRIAN: Yeah, yeah, I'm sorry --

22                   SECRETARY PARSLEY: I just want to make  
23 sure --

24                   MR. BRIAN: Yeah, I mean, up until --

25                   PRESIDENT BODE: That was my question,

36

1 actually, which of the options --

2                   MR. BRIAN: -- 3 years or 5 years or 7 years,  
3 whatever -- when somebody comes forward with a 1-year

4 contract, probably what that's going to do is result in that  
5 load-serving entity recognizing that that's a risk that they

Attachment 1 - transcript

6 face, and they'll probably end up buying power from someone  
7 that they know they won't have to make an upgrade for.

8 VICE PRESIDENT HOCHSTETTER: It seems like we  
9 need to, I guess, look at which bucket of transmission  
10 upgrade we're talking about to then decide what -- what the  
11 length of the contract ought to be and then what the  
12 methodology ought to be that goes with it. In other words,  
13 if you're talking base plan upgrade, which we are right now,  
14 and we determine in advance that some change -- some degree  
15 of network resource changes can be accommodated in the base  
16 plan, those types of upgrades, it seems to me, ought to be  
17 associated with long-term commitments because of the fact  
18 that you're socializing some of those costs, some  
19 percentage; whereas, in some of these other buckets in the  
20 transmission upgrade categories, either the economic or -- I  
21 forgot what the third category is -- then you could have  
22 shorter-term contracts go into those buckets and tie that  
23 with participant funding in the Order 2003 A. Does that  
24 make sense?

25 MR. BRIAN: Yes, it certainly does. And,

37

1 yeah, most of my comments were with regard to designated  
2 network resources that are on a firm basis serving load in  
3 the SPP (inaudible). That's really the focus of the TDUs.  
4 You know, they're not out, you know, playing games in the  
5 market, you know, that sort of thing. They're interested in  
6 reliably serving their own load.

7 PRESIDENT BODE: And just for y'all's benefit,  
Page 34

Attachment 1 - transcript

8 we just handed this document out that has the slides on it.  
9 What we're really working from are the options -- I don't  
10 know that Mike said this -- but the option for 1.a are on  
11 Slide 5, and that's what we've kind of been looking at up  
12 here. I just wanted to make sure everyone else is out here  
13 looking at those same things so that when you speak on  
14 behalf of an option you might tell us which one you're  
15 referring to. That would probably be helpful.

16 Steve, do you have a copy of that? Steve Gaw,  
17 are you there or have you -- you've given him one, Mike,  
18 right?

19 MR. PROCTOR: He has a copy of this  
20 presentation, yeah.

21 PRESIDENT BODE: Okay.

22 MR. PROCTOR: I don't know if he has it with  
23 him, but --

24 PRESIDENT BODE: Would you have any comments,  
25 Steve, on that.

38

1 COMMISSIONER GAW: I know what -- I think I  
2 know what you're working off of.

3 PRESIDENT BODE: Okay. I just wanted to make  
4 sure that if you had any questions or comments that you  
5 were --

6 VICE PRESIDENT HOCHSTETTER: Can I ask what  
7 SPP's thought would be on this with respect to the base  
8 plan? I mean, if we're -- if we're just talking base plan  
9 here and we're going to do something more than reliability

Attachment 1 - transcript

10 and will allow LSEs to change designated resources  
11 periodically, what length of contract term do you think  
12 would be appropriate for that bucket of upgrades as  
13 contrasted with, you know, shorter-term desires under  
14 economic or direct funded --

15 MR. REW: SPP -- we would prefer Option 3.  
16 And our initial discussion is that approximately a 5-year  
17 time frame is what we had initially discussed.

18 VICE PRESIDENT HOCHSTETTER: Can we  
19 successfully, I guess, amortize those costs or get a  
20 pay-back on the transmission upgrade costs for those types  
21 of, you know, new network resource designations within that  
22 period of time? I guess it would depend on what percentage  
23 you put into a regional rate versus zonal --

24 MR. HOLLOWAY: If I could respond to that --  
25 this is Larry Holloway. I don't think the intent is to try

39

1 to recover the costs over that period of time. You would  
2 have the transmission built and then recovered over whatever  
3 the appropriate depreciation period was. And, I mean, you  
4 know, that's one of the issues, quite frankly. I think what  
5 people are concerned about is that after four or five years  
6 it's really hard to tell how that piece of transmission is  
7 being used.

8 So the cost -- I mean, this isn't tied  
9 necessarily to cost recovery. I think it's the important  
10 thing to understand --

11 VICE PRESIDENT HOCHSTETTER: Well, that's why  
Page 36

Attachment 1 - transcript

12 I asked the question. Because if we've going to have a  
13 really short period of time that the resource has to be  
14 committed to load within the region, and yet we're rolling a  
15 certain percentage into 20-, 30-year, you know, life of the  
16 transmission asset rates that everybody has to pay for,  
17 there's a disconnect unless there's such a huge economic  
18 advantage to that transmission upgrade and the use of that  
19 particular designated resource to be able to reap those  
20 benefits within the five years. That's why I asked that  
21 question.

22 MR. HOLLOWAY: And I think the answer is  
23 there's probably not a close connection because -- and I  
24 think it kind of goes back to FERC's Order 2003 A -- there's  
25 some recognition that after a certain period of time it's

40

1 really hard to tell -- you know, the system is used so  
2 differently that it's hard to tell who caused what or why  
3 it's there.

4 Additionally, once you have this element in  
5 place -- at least, this is my opinion -- once you have the  
6 element in place, you could likely be looking at that  
7 element and go, "Gee, you know, we need to do some upgrades  
8 to meet all the rest of the load. Oh, gee, look, there's a  
9 transmission element that was built only for this one  
10 resource. Let's connect up to it and strengthen the grid  
11 over here." So it will be incorporated into the planning  
12 after that point and probably used by a lot of other people  
13 for different purposes. But that's the logic.



Attachment 1 - transcript

14 SECRETARY PARSLEY: And maybe I'm confused --  
15 so I probably need more clarification -- but I'm getting  
16 confused between reliability upgrades -- which I thought was  
17 the base plan upgrades -- and the economic upgrades, which I  
18 thought were the second bucket. And we were just talking  
19 about economic upgrades as opposed to reliability upgrades,  
20 I think, which are two different things I thought.

21 VICE PRESIDENT HOCHSTETTER: Well, I  
22 actually -- maybe I added to the confusion. I was talking  
23 about the new category we've added to reliability, which is  
24 being able to change designated resources. You know,  
25 originally, the base plan was just reliability, and then we

41

1 started talking amongst ourselves a couple of months ago  
2 that, well, maybe in addition to that, we ought to allow --  
3 and when I say "economic" I mean the ability of an LSE to  
4 choose a more economic generation option by virtue of  
5 changing the designated resource. So I'm sorry for the  
6 confusion --

7 SECRETARY PARSLEY: No, I'm sorry, I was --

8 VICE PRESIDENT HOCHSTETTER: So that's why in  
9 my mind I'm trying to marry up the length of time that that  
10 resource is committed to load with the way that we choose to  
11 fund it, because if we're going to socialize a part of the  
12 cost, whether it's 25 percent, 33 percent or whatever, in my  
13 mind we need everybody in that region, then, to be  
14 benefiting from that new generation resource as opposed to  
15 it being sold off-system or whatever.

Attachment 1 - transcript

16                   And maybe this is one of those things where we  
17 just kind of have to split the baby -- you know, whether  
18 it's five years or seven years -- and see how it works. And  
19 it's something we can always change -- I mean, we don't have  
20 to design this to be perfect --

21                   PRESIDENT BODE: It's not in concrete.

22                   VICE PRESIDENT HOCHSTETTER: Exactly. We just  
23 need a starting point and then we can always modify as we go  
24 forward.

25                   PRESIDENT BODE: Go ahead.

42

1                   MR. WARREN: I'm Barry Warren with Empire  
2 District Electric Company. We're also a member committee --  
3 investor-owned utility sector on the board -- so on behalf  
4 of that sector, just to give you a feel for the kind -- what  
5 we're thinking right now -- these limits that's being  
6 discussed on the base plan roll-ins -- trying to give a lot  
7 of thought to that, and term is a key one for designated  
8 capacity resources. And so right now I would say the  
9 thinking is more in lines of the 10-year type time frame in  
10 terms of a long-term resource -- capacity resource for a  
11 long-term significant transmission base plant upgrade --  
12 kind of marry the two together.

13                   So I just wanted to provide you some  
14 feedback -- we're thinking about the limits and we're  
15 working on it. We just haven't had a sufficient amount of  
16 time to really put a lot of meat on those limits, but just  
17 wanted to provide that feedback to you.

Attachment 1 - transcript

18 PRESIDENT BODE: So we've got AEP at 7, Empire  
19 at 10. We've got TDUs at 3 years and SPP at 5 years. I'm  
20 just keeping tabs here.

21 SECRETARY PARSLEY: You're doing --  
22 (Laughter)

23 VICE PRESIDENT HOCHSTETTER: Split the baby or  
24 draw straws or something.

25 PRESIDENT BODE: Are there other folks that

43

1 are on the phone that would like to -- I'll just call on  
2 Steve because I know we had another Commissioner, and Larry,  
3 I think, is speaking here for at least his view, and I  
4 assume that that represents to a great extent the Kansas --  
5 but, Brian, obviously anyone there -- anybody else like to  
6 comment on this issue?

7 VICE PRESIDENT HOCHSTETTER: Well, Larry, I  
8 haven't heard a number from you. What's your particular  
9 preference?

10 MR. HOLLOWAY: I think, you know, the basic  
11 question was whether -- which of the options, and I think  
12 Option 3, in my discussions with -- Mike and Brian and I met  
13 and discussed these issues last week -- and I think we're in  
14 favor of Option 3. You know, we -- I'm not sure what the  
15 right number is, so I guess I can't give you a number to  
16 write down, but I think there should be some limits on it.

17 PRESIDENT BODE: Shorter versus longer?

18 MR. HOLLOWAY: Yeah, one of the concerns I've  
19 had personally is that somehow you need to make sure that

Attachment 1 - transcript

20 there's no -- and maybe there isn't -- but I'm not convinced  
21 there isn't a possibility to game between this and  
22 generation interconnection. Because on one hand you have  
23 the customer saying "I want to hook up to that generator"  
24 and paying for the upgrades. On the other hand you have the  
25 generators saying "I want to hook up and I want network

44

1 upgrades so I can connect." So I think you have to make  
2 sure that one of them isn't a way of -- one of them doesn't  
3 have an advantage over paying less. That's my major concern  
4 is that the two come together well and there's not a reason  
5 to game between the two.

6 PRESIDENT BODE: I haven't heard from any of  
7 the folks from OG&E, and that's our largest footprint in  
8 Oklahoma in terms of company. Is there anyone from OG&E  
9 that would like to offer us some recommendations or  
10 suggestions?

11 MR. WYLIE: Bill Wylie (phonetic) with OG&E,  
12 Commissioner Bode. We've been working with the other  
13 transmission owners. From our own viewpoint -- from OG&E --  
14 we believe that there ought to be a term recognition or a  
15 number -- we're not ready to commitment to a number,  
16 although it's probably more in the range of the 7- to  
17 10-year than 1- to 3-year, certainly.

18 We also think there ought to be some thought  
19 to -- that would be one aspect of the matrix, but some  
20 thought given to what is the proximity that the designated  
21 resource to the load-serving entity as well. So there's a

Attachment 1 - transcript

22 distance factor that we believe ought to be played in  
23 somehow. We're just not (inaudible) not at this time.

24 PRESIDENT BODE: Okay. I just wanted to make  
25 sure. How about -- how about -- I heard the Oklahoma

45

1 municipal folks are on. Do y'all have any comments?

2 MR. LITTLETON: Well, we had multiple lengths  
3 of contracts, and we understand the problem. I think before  
4 you pick a term -- this is Tom Littleton.

5 PRESIDENT BODE: Thank you, Tom.

6 MR. LITTLETON: I think we need to remember  
7 that the transmission portion of the rate really is not near  
8 as big as the distribution or generation portion. So we're  
9 wiggling on the small -- on the smaller piece. And we're  
10 worrying about a smaller piece of the smaller piece when we  
11 start worrying about what ought to be and what ought not to  
12 be. I think we ought to take that into perspective also,  
13 because I go back to the issue that was mentioned by -- and  
14 I didn't catch his name -- who was talking about TDUs, that  
15 there is -- and unless there's something done about it,  
16 there is a significant amount of market power being  
17 exercised in the movement of power in the pool. We just  
18 believe that the more robust the system is that the less  
19 risk you have of that occurring. And so we -- we support  
20 anything that can help the market work. And the shorter the  
21 term, the better the market is going to work. The longer  
22 the term, then you really don't have as much flexibility to  
23 take advantage of the markets. So that's just kind of a

Attachment 1 - transcript

24 general sense I'm getting out of this.

25 PRESIDENT BODE: Thank you very much.

46

1 Appreciate it.

2 Does anybody else have any comments that  
3 they'd like to make?

4 Wayne?

5 MR. WALKER: Yes, Madam Chair. Wayne Walker  
6 with Zilltha Energy here with my energy partners --  
7 coalition. We don't really have a firm number that we want  
8 to latch on to. In general, we are a baseload resource --  
9 wind -- even though we're thought to be small (inaudible)  
10 we're growing probably quicker than any type of resource.

11 Looking forward, there is a possibility that  
12 there could be some wind merchant plants, but it's probably  
13 going to be outside 4 to 5 years. So, you know, a 3- to  
14 5-year term would certainly be something we could support.  
15 I guess the thing I'd like to bring forward to the committee  
16 is that while the cost allocation working group may be in  
17 agreement on a plan, we as a stakeholder do not think this  
18 is the best way to go forward. Because under the current --  
19 the way things are going now, we basically would be a  
20 participant-funded resource. We're very constrained in  
21 terms of location. We have to go where the wind blows the  
22 most to produce the most economic power possible in the  
23 marketplace. And under this protocol, since we can't really  
24 deal with a firm point-to-point transmission type of  
25 structure because of the additional cost penalties it gives

1 us, you know, our energy is not going to be competitive if  
2 we've got to carry the full weight of all this stuff.

3                   So what we propose is to go with a system  
4 that -- similar to the TDU's proposal and spread across a  
5 broader base. And I'd like to echo Mr. Littleton's comments  
6 that, you know, that we're spending a lot of time talking  
7 about something that's a relatively little amount of money.  
8 As an example, if we funded the whole approximately  
9 \$350-million upgrade to accommodate the Kansas-Texas  
10 Panhandle-Oklahoma Panhandle upgrades, we're talking about  
11 50 to 60 cents a month for the average ratepayer, which is  
12 about what you pay for one gallon of gasoline to fill up  
13 your car. I mean, it's just not a lot of money. And the  
14 benefits we bring is the economical energy resource, in  
15 addition to the economic and environmental benefits, spread  
16 across the whole region we think more than outweigh the cost  
17 for the transmission built to our areas.

18                   VICE PRESIDENT HOCHSTETTER: Just out of  
19 curiosity, though, when you're talking about competition,  
20 aren't you supposed to be comparing apples to apples and,  
21 you know, everybody bearing their own costs and competing on  
22 a level playing field?

23                   MR. WALKER: Yes, but, you know, like I said,  
24 we can't locate a wind plant -- we can't locate a wind plant  
25 next to Little Rock Arkansas. It's just -- the wind doesn't

1 blow there. We have to go where it blows. And as we've  
2 proven in Texas and proven in other areas, you know, we can  
3 be more cost competitive than natural gas. But at some  
4 point in windy areas you run out of transmission because  
5 there's no load there. But the overall benefits to the  
6 ratepayers, because they have another source of -- type of  
7 energy to diversify and hedge against the risk of fossil  
8 fuel prices, you know, we think far outweighs the  
9 transmission costs to get there (inaudible) not carry the  
10 whole burden.

11 MR. PROCTOR: Commissioners, can I kind of  
12 respond to this? Maybe there's some misunderstanding  
13 here --

14 PRESIDENT BODE: Thank you, Mr. Walker.  
15 Appreciate it.

16 MR. PROCTOR: -- because what is put into the  
17 base plan is not participant funded. What is put into base  
18 plan is rolled into rates. So if a customer has a wind  
19 contract in -- and that's a resource for that customer, then  
20 the transmission that's needed for that particular resource  
21 would be rolled into rates. It would not be participant  
22 funded.

23 Now, having said that, let me indicate one of  
24 the particular problems that wind, as an example, raises.  
25 Suppose the utilities in Missouri want to designate wind as



Attachment 1 - transcript

1 a resource. And, frankly, we've got three of them that are  
2 looking at that and looking at it very seriously. And in  
3 order for that to occur, there needs to be upgrades in the  
4 transmission system maybe in Kansas. Okay? And part of the  
5 issue that that raises is, you know, under the current  
6 policy, what would happen is all of that upgrade would -- if  
7 we rolled it in -- would be rolled into Kansas ratepayers  
8 and they would pay for it, and that's not fair. And that's  
9 not what we're proposing here.

10                   What we're proposing here is that SPP looks at  
11 that and says, "Who's going to benefit from this  
12 transmission," and then that would determine, then, who  
13 would pay for it. That is the direction that we're heading.  
14 We're talking about getting rid of what is called the "end  
15 pricing" for network resources. We think that's a  
16 tremendous benefit -- competitive benefit, and one of the  
17 major things that we're doing.

18                   But we don't see -- I really don't agree that  
19 we're asking them to participant fund transmission if wind  
20 is a designated resource to serve load. So I just wanted to  
21 clarify at least my view on that and I -- maybe Larry can  
22 speak up or --

23                   PRESIDENT BODE: I think Michael Desselle is  
24 dying to say something.

25                   MR. HOLLOWAY: Well, I did want to add a

50

1 little bit to what -- oh, I'm sorry --

Attachment 1 - transcript

2 MR. DESSELLE: Go ahead, Larry.  
3 PRESIDENT BODE: Go ahead, Larry.  
4 MR. HOLLOWAY: -- to what Mike was saying --  
5 Mike Proctor was saying, and that is, I think, just to add  
6 to your example, say the utilities are in a zone in  
7 Missouri, and the zone where the wind generation is in  
8 western Kansas and there's two zones in between there, and  
9 those two zones are where the transmission needs to be  
10 upgraded. If you stick with zonal pricing, then the  
11 customers inside those two zones end up paying for all the  
12 upgrades. They don't have the generation there to help them  
13 out with the property tax or the jobs or whatever, and they  
14 don't -- and they're not using it either. And, in fact,  
15 they probably have higher energy costs due to energy losses.  
16 MR. DESSELLE: This is Michael Desselie, and  
17 both what Mike has said and Larry has said really kind of  
18 goes to the point that I wanted to rebut, you know, this  
19 idea that, "geez, it's only pennies and it's not going to  
20 cost you anything." Well, if it gets rolled in, we're going  
21 to get an allocated share of 22 to 25 percent of whatever  
22 that cost is rolled in, whether it benefits us or not as was  
23 sort of proposed here. So that's -- I wanted to make that  
24 point, and I agree with both what Larry and Mike are saying  
25 that with respect to that issue.

51

1 PRESIDENT BODE: Any additional comments?  
2 MR. PROCTOR: I might say on behalf of  
3 Missouri, in terms of these options, we have been focusing

Attachment 1 - transcript

4 on Option 3 as well, and asking the question -- and I've  
5 been asking it for two months now -- what are the proper  
6 limits to set there? Our sense is that there do need -- it  
7 is reasonable to set some limits and to give the SPP board  
8 some guidance in terms of those limits and give a rational  
9 explanation for why.

10 Now, generally, we know that the SPP board  
11 will have to approve the base plan. So if somebody is  
12 proposing something that's just totally off the wall -- you  
13 know, it's going to cost millions of dollars and provide no  
14 benefit except to that one person -- then rolling it in  
15 isn't the proper answer and the SPP board, hopefully, would  
16 recognize that, that here we're trying to give the -- that  
17 board some additional guidelines that would be the types of  
18 guidelines that SPP could put into the tariff and,  
19 hopefully, the types of guidelines that FERC could accept.  
20 So that's what we're kind of looking for here, and "term"  
21 was one of these things that we had asked about.

22 VICE PRESIDENT HOCHSTETTER: Are there any  
23 other parameters besides -- we've been focusing on the  
24 length of the contract. Are there any other parameters that  
25 are logical to consider that maybe we ought to look at in

52

1 addition to or as an alternative to the length of the  
2 contract?

3 PRESIDENT BODE: And we had one other comment  
4 that wanted to respond before we went off this subject, if  
5 we could.

Attachment 1 - transcript

6

Yes, sir?

7

MR. SLOAN: Actually, this segues into the other one. I'm Mike Sloan on behalf of the Wind Coalition. And just to build on some comments that Wayne Walker had made, the wind resource in the SPP states is tremendous. I mean, there's great resource there. There's also tremendous natural gas consumption at power plants, so there's a great opportunity to reduce generation costs with very expensive fuel use.

15

The industry is very, very interested -- and I think it's reflected by the fact that almost 60 percent of the interconnection requests right now at SPP are for wind projects. There's a lot of interest from the wind industry in being in the Southwest Power Pool. And a fundamental (inaudible) question is the participant funding plan you come up with, "Do you want to accommodate wind generation into the future?" And if the answer is "yes," there's some specifics, because wind is a different resource. It's not a traditional resource, and there's some things that are going to have to be paid -- special attention to these factors.

53

1

And to get into some of the specifics --

2

PRESIDENT BODE: But are you talking about -- we're just talking about the base issues -- the base --

4

MR. SLOAN: Base funded?

5

PRESIDENT BODE: -- base-funded issues right now. We haven't gotten to, sort of, the economic upgrades. And I think what they were saying is that if they're

8 considered baseload, then they would be rolled in whether  
9 they're wind or anything else. Right?

10 SECRETARY PARSLEY: And I guess that's what we  
11 were getting to next is whether baseload was something we  
12 wanted to look at in addition to terms of contract --

13 VICE PRESIDENT HOCHSTETTER: And any other  
14 factor that the CAWG has been looking at.

15 PRESIDENT BODE: So go ahead and segue --

16 MR. SLOAN: -- recognize that if you're just  
17 dealing with base-funded resources and they have the  
18 flexibility to accommodate wind, then that works quite a bit  
19 better than some of the other of the economic resources or  
20 just full-participant-funded resources. And if the  
21 Southwest Power Pool is able to do that, to work in where  
22 wind becomes base funded, then it's going to really help it  
23 work out a lot.

24 There are a couple of issues that are  
25 overarching -- sort of -- it doesn't depend what bucket you

54

1 put it into, they are issues you have to deal with. And  
2 Southwest Power Pool, I think, has done an excellent job of  
3 devising a plan proactively -- you know, moving forward to  
4 come up with a transmission plan to get more wind out of  
5 West Kansas and West Oklahoma, this "X" plan. But it needs  
6 about 2500 megawatts to subscribe that line. And if you  
7 think -- you know, the average wind project might be 100  
8 megawatts, that's 25 projects. And if you're requiring them  
9 to have their full deals together, the full interconnection

10 agreements, before those lines can move forward, that's an  
11 obvious issue that's going to have to be dealt with.

12 VICE PRESIDENT HOCHSTETTER: I think that for  
13 purposes of base plan we're talking about a load-serving  
14 entity designating a generation resource as a long-term  
15 resource -- no matter how you define "long-term" -- as a  
16 long-term resource of serving its customers' needs. That's  
17 what we're talking about right now in terms of the base  
18 plant, whether it's a self-build option or a contract. And,  
19 you know, I don't think we're talking about, you know, spot  
20 energy stuff or intermediate or peaking stuff. We're  
21 talking long-term dedicated to customers -- to LSE  
22 customers' generation.

23 So -- I mean, I don't know where you fit into  
24 the mix. I don't know if you'll be a long-term baseload  
25 resource or if you're intermediate or if you're peaking or

55

1 what. But, you know, if you fit -- if your generation fits  
2 within an LSE's load profile for a long-term designated  
3 resource, then you could be eligible for base plan, you  
4 know, cost allocation. But it would -- you know, I think  
5 where we're getting to now is what would be those parameters  
6 to determine the long-term dedication of the resource to the  
7 load?

8 MR. SLOAN: Just two following comments there.  
9 In the nature of many wind contracts, they are very  
10 long-term -- 10 to even 20 years terms on wind contracts.  
11 So if that is the particular question, then it shouldn't be

Attachment 1 - transcript

12 so much of an issue for wind. But, again, if a utility,  
13 basically, has to subscribe a wind project, it's going to be  
14 fairly small. And you have to have 25 of them or even 5 of  
15 them before you could move forward with building that  
16 project. You can understand that that's going to be a  
17 drawback to moving forward with any wind development since  
18 it all depends on this new infrastructure out in west --

19 VICE PRESIDENT HOCHSTETTER: Would a utility  
20 designate wind as a designated resource? I mean, what --

21 MR. PROCTOR: Yeah, I think what he's talking  
22 about --

23 VICE PRESIDENT HOCHSTETTER: I'm confused.

24 MR. PROCTOR: -- he's talking about suppose  
25 only one utility subscribes 100 -- 200 megawatts wind as

56

1 designated resource. But in order for that to occur, SPP  
2 has to build a very expensive (inaudible), one that has a  
3 capacity of -- his example is 2500 megawatts. So one of the  
4 other criteria that you need to think about, you know,  
5 you're going, "My gosh, to get this one resource in, I'm  
6 having to spend multi-millions of dollars." Is the SPP  
7 board going to turn that down because it's just way too  
8 expensive to put in -- and there is another place where the  
9 economic -- in my mind the economic and the reliability  
10 criteria cross, because you're building the excess -- you're  
11 building excess into the system above what you need for  
12 reliability purposes. That's what he's talking about.

13 When you do that, does it -- what are the

14 other limits you -- if it isn't going to provide economic  
15 benefits to the rest of the region, you may not want to  
16 build it.

17 VICE PRESIDENT HOCHSTETTER: Either that, or  
18 it seems like a certain percentage of it should be  
19 participant-funded, and then that small percentage that is  
20 in fact needed for the load to be served would be what is  
21 rolled into rates.

22 MR. BROWN: Can I ask a clarifying questions  
23 of you, Mike? It sounded what you are proposing is not  
24 drawing a bright line today, but saying that, in the  
25 process, that there be, oh, minimums and maximums of term --

57

1 maybe it's not 3 years and maybe it's not 10 years, but  
2 depending on, maybe, distance, maybe dollar magnitude of  
3 investment, that discretion would be used to determine,  
4 "Well, gee, if you're going to build this, then we need a  
5 10- or 15-year commitment in order to roll those costs in?

6 MR. HOLLOWAY: I think one of the things we  
7 talked about, Nick, is not only in -- and that's an  
8 interesting perspective, because one of the things we looked  
9 at is maybe a year limit and some reasonableness test. But,  
10 you know, what you're suggesting I think is an interesting  
11 perspective, too. But I don't know that we'd actually  
12 discussed that so much --

13 MR. BROWN: Yeah, I wasn't really  
14 suggesting -- that's what I thought I heard Mike arguing,  
15 that "Let's go with Option 3. Let's say that, you know, the



16 range is anywhere from 3 to 10 years, but there may be other  
17 mitigations or reasons why it might be shorter or it might  
18 be longer, depending on things such as distance from the  
19 resource to the load and the magnitude of the project."

20 MR. PROCTOR: Yeah, I mean, there is -- Nick,  
21 you're characterizing the approach that I feel comfortable  
22 with very well. I don't know how comfortable FERC is going  
23 to feel with that or how you put together tariff language to  
24 do that. And -- I mean, that's one of the struggles that  
25 you have, because people tend to like to have these bright

58

1 lines "boom, boom, boom, I can come in and I can test this,"  
2 and it meets all these tests and, therefore, in that -- in  
3 favor of that is it efficient? Okay? Whereas, when you're  
4 working with a flexible thing, that tends to take longer to  
5 make a determination that it -- so we need to think about  
6 this and how do we put these two concepts together and are  
7 there things that should be hard limits (phone tone) so you  
8 know -- you know you're got going to get any applications  
9 that don't meet these limits. And then maybe there's this  
10 other, more -- I don't want to call it a softer test -- but  
11 less-well-defined type of test --

12 PRESIDENT BODE: Flexibility --

13 MR. PROCTOR: -- yeah, flexibility --

14 PRESIDENT BODE: -- to address these issues  
15 that have been raised.

16 VICE PRESIDENT HOCHSTETTER: Well, it seems  
17 like the base plan would probably -- whatever is in the base

18 plan should give us more flexibility to determine a cost  
19 allocation methodology as long as there's always the  
20 participant funding option. I mean, I think as long as  
21 we're complying with Order 2003 A for transmission projects  
22 and people have always had that as an option, whether or not  
23 you, you know, roll it into rates either with the postage  
24 stamp rate or that in combination to so many zones with the  
25 flow-based model, that -- you know, I think FERC would be

59

1 happy with that. And, I mean, the way we're splitting this  
2 up into three buckets accommodates that.

3 MR. TOTTON: Chairman Bode, you asked if there  
4 was another way of looking at this, and I have argued for a  
5 somewhat different way. I'm very much in favor of hard and  
6 fast rules for the cost allocation, but recognize that the  
7 decision to make an investment in an expensive transmission  
8 project is not necessarily something that you want to have  
9 hard and fast rules for; that it's really a decision for  
10 whoever is making that investment whether it is a good use  
11 of their capital in terms of serving their customers' needs  
12 and providing a return on their investment.

13 So I've argued that the SPP board should  
14 really look at all of the projects that are proposed for  
15 base plant projects and decide on the ones that really  
16 provide the benefits for the region's customers. And so you  
17 would give the board a lot of discretion, but then once you  
18 decide that it is a base plant project, then you have very  
19 hard and fast rules about how the costs would be allocated.

20 MR. HOLLOWAY: Actually --  
21 PRESIDENT BODE: Thanks, Jess.  
22 MR. HOLLOWAY: -- if I could, there's an issue  
23 that I probably should bring up. And I'm not sure it's  
24 covered here, but I don't think it's going to get us too far  
25 off track, so I just wanted -- I know we have discussed it a

60

1 little bit before. That is -- I know that Oklahoma  
2 Municipal Group has brought this up, I believe, and in  
3 Kansas now our Legislature passed a law that allowed  
4 transmission projects that -- I think it's pretty vague --  
5 primarily benefit Kansas to get KDFA financing, which  
6 essentially means they can issue an industrial  
7 revenue bond.

8 So the issue really is -- lots of times when  
9 we think about this, we think about what we're going to  
10 order a transmission owner to invest its money in, but I  
11 think we need -- with the RSC's blessing I would hope that  
12 we would be trying to think of ways that other folks could  
13 put the money up for these transmission projects or,  
14 perhaps, you know, if we can get a KDFA-financed --  
15 financial put together to pay for some -- you know, however  
16 it's paid for, at least we could lower the cost of  
17 service -- the annual cost of service of that line quite a  
18 bit, and we probably need to think in terms of being  
19 flexible enough to allow other types of investment in --  
20 other types of financing packages --

21 PRESIDENT BODE: Joyce, do you have any

22 comments? I know that our folks have been talking -- you've  
23 been talking to a lot of our constituents in Oklahoma out  
24 there as well.

25 MS. DAVIDSON: Really, the conversations that

61

1 I've had have basically gone with the Option 3 to -- as far  
2 as looking at the designated network resource and the time  
3 frame at which that -- one should designate that network  
4 resource is kind of a question. And the discussion has been  
5 around how long of a notice does it take when you actually  
6 need to build the transmission so you're not -- the idea at  
7 one time, I thought, that it was going to be changed out,  
8 you know, every other year. Well, we finally reached the  
9 conclusion that we don't think that's going to happen  
10 because of the time that it takes in order to build -- to  
11 put the plans in place and actually build a network  
12 resource. To have the commitment, however, for the base  
13 plan, or base fund it for some period of time, is definitely  
14 mooted and the option of having hard and fast rules -- I  
15 guess I support that more so and then some flexibility. I  
16 don't think whatever we put on the table will cover 100  
17 percent of the issues that come to the table, but,  
18 hopefully, we'll cover 90 percent and then you would have to  
19 do some kind of detailed look at those other options that  
20 come to the table.

21 If we say that the contract has to be five  
22 years and then they come and say, "I only get a contract for  
23 four years," do you say, "okay, you don't fall into the

24 base-funded option, but now you can do a participant  
25 funding." You know, you still have an option.

62

1                   The issue of looking at the project and  
2 running, necessarily, the flows to see where the regional  
3 benefit is, where the zone benefit is, really helps to  
4 determine which bucket it really falls in. And then that  
5 gets back to the next question -- which we haven't gotten  
6 to -- what percent should that be to really say that it's  
7 regional or zonal and how do you get there based upon that?  
8 But we're certainly in for having a contract of some time  
9 which kind of indicates a commitment to the use. But I  
10 also -- based upon all our conversations that we've had --  
11 feel that after some period of time, if you run another  
12 flow-based model, you will find that that particular line is  
13 probably used by a number of other participants that didn't  
14 start out with in the first place, which may lead you more  
15 to the megawatt-mile or the postage stamp kind of  
16 allocation. If you start to run the various projects  
17 individually, and by the time you sum them all up, you may  
18 find that you've not really gained a lot by separately  
19 identifying and building out for that. So...

20                   MR. BROWN: Joyce --

21                   MS. DAVIDSON: Yes.

22                   MR. BROWN: -- you may have hit on something.  
23 Maybe the way to split it and to have a bright line but, at  
24 the same time, not close the door on additional thought to  
25 the extent a particular project warrants it, is to put in

1 the tariff, Mike, a bright line of five years or some  
2 number, and then say also, to the extent the board or the  
3 RSC or the combination thereof believes something else  
4 warrants, then we would file an exception.

5 PRESIDENT BODE: You can waive it.

6 MR. BROWN: Yeah, ask for a waiver of that  
7 particular provision for a given project.

8 MR. PROCTOR: That probably provides the  
9 efficiency you need and the flexibility --

10 VICE PRESIDENT HOCHSTETTER: And then maybe  
11 put in that language what factors you would look at to make  
12 it a little bit more objective like cost, distance, fuel  
13 diversity --

14 MR. PROCTOR: Sure.

15 VICE PRESIDENT HOCHSTETTER: -- you know,  
16 reliability -- whatever, you know, sorts of characteristics,  
17 you know, would be logical to consider for exception  
18 purposes -- I think that makes a lot of sense.

19 MR. HOUSE: Yeah, this is Richard House, and  
20 I've just got an additional comment. You know, Jess is  
21 right when the decision is made by the board, but most of  
22 these projects that they'll be looking at will come through  
23 a planning process where, you know, there will be a lot of  
24 stakeholder involvement and RSC involvement and you'll be  
25 making those judgments along the way. So there's that

1 aspect to consider as well.

2 PRESIDENT BODE: How did the wind projects  
3 that we've been talking about fit into this -- fit into this  
4 planning process?

5 MR. BROWN: To the extent they're claimed as a  
6 designated network resource, they would be included just  
7 like any other generation resource.

8 VICE PRESIDENT HOCHSTETTER: So it would be up  
9 to the LSE to designate them --

10 MR. BROWN: Yes.

11 VICE PRESIDENT HOCHSTETTER: -- as a resource?

12 PRESIDENT BODE: And if they're not designated  
13 are --

14 MR. BROWN: For these base-funded projects.  
15 Now, we can talk about it again --

16 PRESIDENT BODE: Okay.

17 MR. BROWN: -- when we get to the economic  
18 upgrades.

19 PRESIDENT BODE: Barry?

20 MR. WARREN: This is Barry with Empire. Just  
21 a quick comment. I think so far we've looked at the  
22 base-plan-type upgrades being related to capacity and energy  
23 resources -- on the base plan for reliability purposes, and  
24 viewed more of the renewables as an economic-requested-type  
25 upgrade. Now, to the extent, you know, those economic

Attachment 1 - transcript

1 upgrades are requested -- upgrades get rolled in as part of  
2 the next part of the discussion, we've looked at them as  
3 a -- as not a base-plan-type upgrade because of reliability  
4 and capacity and energy-type resource --

5 PRESIDENT BODE: If you said -- if you said  
6 that -- if they said that they had 70 percent of the new  
7 applications were REM related, how many of those were  
8 suggested as -- in terms of --

9 MR. BROWN: Well, those are interconnection  
10 requests. I don't have a clue to what extent any of those  
11 were claimed as designated network resources by load serving  
12 entities --

13 PHONE PARTICIPANT: -- we agree with what  
14 Barry is saying is that those network base plan upgrades  
15 should probably be tied back to units that supplier  
16 (inaudible) to the inadequacies, but the unit does not have  
17 a designation of a certain amount of ability for capacity,  
18 then it would not be a baseload unit --

19 SECRETARY PARSLEY: Well, I think --

20 MR. BROWN: But there's nothing that precludes  
21 wind from being claimed as a baseload capacity.

22 PHONE PARTICIPANT: -- depend on that  
23 criteria.

24 MR. BROWN: Exactly.

25 PRESIDENT BODE: Well, I think we had that

66

1 discussion at the last SPP meeting --

2 MR. BROWN: Yes.  
Page 61



Attachment 1 - transcript

3 PRESIDENT BODE: -- which is unresolved at  
4 this point, I think, as to what the -- and we're going to  
5 have further discussion on that --

6 MR. BROWN: Yes.

7 PRESIDENT BODE: -- or you-all are having  
8 further discussion on that.

9 VICE PRESIDENT HOCHSTETTER: On what?

10 PRESIDENT BODE: On the wind power and the  
11 capacity issue.

12 MR. BROWN: What capacity rating you give to a  
13 particular wind unit because it's not there all the time  
14 and --

15 PRESIDENT BODE: The intermittency of it or  
16 whatever?

17 MR. BROWN: Exactly. We're working on  
18 criteria on how to give a capacity rating to a particular  
19 wind --

20 VICE PRESIDENT HOCHSTETTER: And I think a  
21 certain amount of this issue is going to be resolved by the  
22 state commissions to the extent that the LSEs are state  
23 jurisdictional. You know, it wouldn't apply to the co-ops  
24 in some states and it wouldn't apply to the muni's, but all  
25 the co-ops are regulated in Arkansas and, of course, all the

67

1 IOUs are. So -- you know, we have to approve the generation  
2 plan. So, you know, what an LSE designates as a network  
3 resource is going to have to be pre-approved by state  
4 commissions to a large extent anyway, so that can -- that

Attachment 1 - transcript

5 will answer a lot of the questions that have been raised  
6 today.

7 MR. PROCTOR: If I could, you know, I really  
8 appreciate the input and things that we've heard here. And  
9 I don't know that we want to reach a conclusion on this  
10 particular topic today, but I would like to -- if I can move  
11 this to Slide 6 --

12 SECRETARY PARSLEY: Can I ask one quick  
13 question --

14 MR. PROCTOR: Sure.

15 SECRETARY PARSLEY: -- before we move?

16 PRESIDENT BODE: Okay.

17 SECRETARY PARSLEY: And this is going to make  
18 everybody go -- is anybody else on the phone or out there in  
19 support of Option 1 besides the smaller TDUs and the wind  
20 resources?

21 MR. BROWN: Well, maybe I need clarification.  
22 Were you-all arguing for Option 1?

23 UNIDEN. SPEAKER: Yes, our preference would be  
24 Option 1. Option 3 is a compromise.

25 MR. BROWN: Okay.

68

1 PRESIDENT BODE: But I thought you said that  
2 that's what you were -- that that was a -- I guess I didn't  
3 hear a No. 1 either. I heard No. 3 with three years -- No. 3  
4 with three years is what I thought you heard.

5 UNIDEN. SPEAKER: That's what we're willing to  
6 agree to. We've been trying to work through the (inaudible)

Attachment 1 - transcript

7 energy process in trying to reach consensus and converge on  
8 something, and we're willing to compromise on that. But our  
9 preference would be No. 1, absolutely.

10 PRESIDENT BODE: Okay.

11 VICE PRESIDENT HOCHSTETTER: Since it seemed  
12 like there was a lot of consistency -- and I know that, you  
13 know, we're trying to get to as many decisions as we can  
14 today even, you know, as opposed to continually postponing  
15 everything to the next meeting -- I heard a lot of  
16 consistency for Option 3. I think the question is how to  
17 phrase the guideline portion of it. And maybe what we  
18 should do -- could do -- is ask perhaps the SPP folks in  
19 combination with the CAWG to draft some terminology to go  
20 along with Option 3 to specify, you know, whether it's 5  
21 years, 7 years -- whatever -- in addition to flexibility to  
22 consider some alternative parameters on a project-by-project  
23 basis.

24 PRESIDENT BODE: Which have been raised by the  
25 wind folks and the TDU folks. So would you-all be willing

69

1 to work with them on trying to accomplish that objective?

2 MR. SLOAN: Yes.

3 PRESIDENT BODE: Okay.

4 MR. LOUDENSLAGGER: This is Loudenslager. So  
5 the focus is on Option 3 and the focus within Option 3 is  
6 trying to define that question of long-term and then  
7 spelling out what some alternatives or options to the  
8 long-term might be?

Attachment 1 - transcript

9 VICE PRESIDENT HOCHSTETTER: Right. How much  
10 flexibility there is in that and what parameters, I guess,  
11 would be looked at.

12 SECRETARY PARSLEY: And I just -- I guess for  
13 my standpoint -- from our standpoint I would prefer 3 years,  
14 actually, as opposed to 7 or 10, but would probably be  
15 willing to compromise more on the 5 years in terms of --

16 PHONE PARTICIPANT: Is that Commissioner  
17 Parsley?

18 SECRETARY PARSLEY: Yes.

19 PHONE PARTICIPANT: Thank you.

20 SECRETARY PARSLEY: So just to kind of put  
21 that out there, too, I think 5 years would be -- with some  
22 flexibility on either side would be a good number.

23 VICE PRESIDENT HOCHSTETTER: Like if the  
24 dollars were large it might bump up to 10 years, if the  
25 dollars were small it might bump you down to something less

70

1 than 5 years, you know, depending upon (inaudible) factors.

2 MR. HOLLOWAY: I would prefer they give it as  
3 the regional benefits were large or small --

4 VICE PRESIDENT HOCHSTETTER: Okay. Excuse me.

5 MR. HOLLOWAY: -- you could have large dollars  
6 and have a lot of benefits --

7 PRESIDENT BODE: And, Joyce, I think that's  
8 where we had come out was more on the five-year range --

9 MS. DAVIDSON: Yes.

10 PRESIDENT BODE: Okay. Let's move on. Mike,  
Page 65

Attachment 1 - transcript

11 take us through this list.

12 MR. PROCTOR: Okay. Page 6 we've got a list  
13 of proposals that range from a low of 10 percent up to a  
14 high of 100 percent. And somewhere -- this has to do with  
15 the percentage of the upgrade cost that we go into a  
16 region-wide postage stamp rate. It's really a rate design  
17 issue. Do you -- how much of this do you think is there in  
18 support of the whole region? And people that argue 100  
19 percent, for example, believe that over time all the  
20 upgrades benefit everyone and pretty much on an equal basis  
21 or a comparable basis and should go into a postage stamp  
22 rate to keep it simple. I mean, that's their argument.

23 At the other end of it, people believe that  
24 for reliability purposes these upgrades are very specific in  
25 terms of who benefits from those upgrades on a reliability

71

1 basis. And SPP has run some tests -- for example, the one  
2 I'll pick out here is the one at 33 percent. They looked at  
3 every load serving entity serving its load from its own  
4 resources. So essentially those are the transfers that  
5 they're doing.

6 And what this indicates is that 33 percent of  
7 the flows in the system are what we call "loop flows" on  
8 other people's system. I'm serving my load from my  
9 resources, but my electricity flows are flowing onto other  
10 people's transmission systems, and we call those loop flows.  
11 And those vary from a low of less than 5 percent, I believe  
12 it was, for the entity that they had the lowest loop flow,

Attachment 1 - transcript

13 up to almost 80 percent at the other extreme for an entity  
14 to get that much in terms of loop flow.

15 So that was one of the things we looked at.

16 And on the average -- those average out to about 33 percent.

17 SPP brought that information to us to be considered as a way

18 of measuring -- using a flow-based measure of regional

19 benefit -- I don't know if -- "benefits" not the right

20 word -- but regional use of the transmission system --

21 VICE PRESIDENT HOCHSTETTER: Can I clarify as

22 to what -- I thought that the methodology was going to drive

23 the numbers. Are these numbers applied to a set of

24 transmission improvements that you have identified today?

25 MR. PROCTOR: That's Page 7. This is not --

72

1 that is Page 7.

2 VICE PRESIDENT HOCHSTETTER: I just wanted to

3 make clear that we're not picking arbitrary numbers that are

4 going to go into a regional postage stamp rate, but the

5 methodology is going to drive the allocation of a regional

6 benefit versus which zones benefit --

7 MR. PROCTOR: Correct.

8 VICE PRESIDENT HOCHSTETTER: Okay. Because

9 it's not clear on Slide 6 as to the fact that these

10 percentages are based upon one set of transmission upgrades

11 that you've identified, like, as of today.

12 MR. PROCTOR: They're not --

13 UNIDEN. SPEAKER: -- based on transmission --

14 MR. REW: Our goal was to determine the

Attachment 1 - transcript

15 regional versus zonal use of the transmission system as it  
16 exists today.

17 VICE PRESIDENT HOCHSTETTER: As it exists  
18 today --

19 MR. BROWN: In general.

20 MR. REW: In general.

21 VICE PRESIDENT HOCHSTETTER: Okay.

22 MR. BROWN: Any and all facilities.

23 VICE PRESIDENT HOCHSTETTER: So you're not  
24 talking about the new facilities that you've identified in  
25 your current planning process?

73

1 MR. BROWN: No.

2 MR. REW: No.

3 MR. PROCTOR: Bruce did indicate to me,  
4 however, that they have rerun that with the 10-year -- 20/10  
5 upgrades in it --

6 MR. REW: Well, we looked at the 2010 model  
7 with and without the upgrades in it, and the range was from  
8 about 60 percent -- actually, I should talk -- from 40  
9 percent down to 30 percent, which we included in the  
10 upgrades. So the range is relatively small around that  
11 one-third.

12 VICE PRESIDENT HOCHSTETTER: But these numbers  
13 do change a little bit when you take the upgrades?

14 MR. REW: They will change with each model.  
15 As the topology changes, you add the transmission lines and  
16 designated network resource to serve load, that will also

Attachment 1 - transcript

17 change. If somebody adds a new resource, that's further  
18 away from the load in a (inaudible) regional and vice versa.

19 VICE PRESIDENT HOCHSTETTER: And have you had  
20 a chance to run the numbers on the AEP flow-based model to  
21 see what percentage would be rational versus what goes into  
22 zonal buckets?

23 MR. REW: Well, the AEP model is a methodology  
24 of allocating the costs, not looking at regional versus  
25 zonal use. Its purpose is not to do what we did here.

74

1 VICE PRESIDENT HOCHSTETTER: So it's more  
2 forward-looking as opposed to looking at the existing use of  
3 the system as it is today?

4 MR. REW: Yes.

5 MS. DAVIDSON: This is the presentation that  
6 was given that -- that megawatt mile results by company that  
7 shows what their use -- how they're serving their load,  
8 whether they're linking all their own facilities, or whether  
9 they're loop flows, and this is the result of that that was  
10 presented to the group, which is where we came up with the  
11 33 percent.

12 MR. REW: Yes, that's a weighted average, too.

13 MS. DAVIDSON: Right.

14 MR. REW: So if you're a smaller company than  
15 95 percent, you don't drive the numbers. It's weighted  
16 based on the size of the entities.

17 MS. DAVIDSON: Right.

18 MR. PROCTOR: Can I comment on the AEP study?



Attachment 1 - transcript

19 Because I -- I agree as the study has been proposed it has  
20 been proposed to be used to allocate costs as specific --  
21 not to split between a regional versus a zonal allocation.  
22 That is AEP's proposal.

23 VICE PRESIDENT HOCHSTETTER: Although if every  
24 single zone benefited from something, then that would go  
25 into a regional postage stamp rate, so it's the same thing.

75

1 It's just a matter of how many zones benefit from how many  
2 megawatts, right?

3 MR. PROCTOR: That's the way --

4 VICE PRESIDENT HOCHSTETTER: I mean, six one  
5 way half a dozen another.

6 MR. PROCTOR: That's the way I have begun to  
7 look at it. And what it's saying is even though you're  
8 doing a reliability upgrade, that has economic benefits.  
9 And the AEP approach is one way to measure what those  
10 benefits are. And one of the things that you will see is  
11 that the economic benefits tend to be more diverse -- that  
12 is, spread out -- over the region than the reliability  
13 benefits.

14 The reliability benefits, which is actually  
15 the test -- on SPP test on Slide 7 -- that test tends to  
16 indicate that the reliability benefits tend to be fairly  
17 narrow. They tend to be within the region where it was  
18 built. It may be three or four other surrounding regions  
19 that benefit from this. And their measure of a benefit in  
20 that case is "when you build this new facility, does the use

Attachment 1 - transcript

21 of your existing facilities go down?" And "do you gain more  
22 capacity on your own system," was their measure. That tends  
23 to be fairly subregional, fairly narrow.

24 But when you start looking at the AEP results,  
25 and you look at the economic benefit -- not just the

76

1 reliability benefits -- those tend to get spread out over a  
2 larger -- over the larger region. And so I -- I have begun  
3 in view of -- I would add the AEP to Slide 6, let me put it  
4 that way. I think the AEP test would be beneficial in  
5 helping to determine what are regional benefits compared to  
6 just zonal benefits.

7 VICE PRESIDENT HOCHSTETTER: Let me ask  
8 another clarifying question -- I thought the transmission  
9 tariffs that we had to file by the end of the year were for  
10 transmission upgrades -- incremental transmission  
11 investment -- which is why I thought Slide 6 had to do with  
12 incremental transmission investment. But instead you're  
13 saying it has to do -- so this is just an example, an  
14 illustrative example of how the models would apply -- I  
15 guess what I'm asking is has anybody run the numbers for  
16 incremental -- and it sounds like you have -- but I'd like  
17 to see the numbers for the incremental transmission  
18 investment, because that's what we have to file on our  
19 tariffs, right? We're not looking at reallocating the cost  
20 of existing embedded plant.

21 MR. BROWN: No, we're not. But if you look at  
22 Slide 6, the question between Slide 6 and Slide 7 is of four

Attachment 1 - transcript

23 facilities that are identified for the base needs of the  
24 system, what portion, if any, should be included in a  
25 region-wide rate and what portion should go into the

77

1 individual zones?

2 MR. DESSELLE: Let me ask a question then.

3 Does that assume --

4 VICE PRESIDENT HOCHSTETTER: That's Michael  
5 Desselie with AEP for you-all on the phone.

6 MR. DESSELLE: I'm sorry.

7 PRESIDENT BODE: It's for the court reporter.

8 MR. DESSELLE: This is Michael Desselie from  
9 AEP. Then what you just said -- does that assume that when  
10 we file tariffs at the end of the year for these facilities  
11 that would be base funded, if you make this determination  
12 that some of it is regional in nature and some of it is  
13 zonal in nature, then the regional stuff is something that  
14 would be recovered from that tariff in the future?

15 MR. BROWN: Yes, exactly.

16 VICE PRESIDENT HOCHSTETTER: But you're --

17 MS. DAVIDSON: I think the confusion --

18 UNIDEN. SPEAKER: -- multi-part rate.

19 MS. DAVIDSON: Right. I think the confusion  
20 may be that we were trying to make a determination as Nick  
21 said to see if in a project there was a certain percent or  
22 there may be not -- there may not be a certain percent, but  
23 they're trying to figure out using the various methods if  
24 currently they could show that there's a certain percent of

Attachment 1 - transcript

25 what's out there now that being used not only by the zone,

78

1 but it's benefiting the region as well.

2 VICE PRESIDENT HOCHSTETTER: -- you're not  
3 talking reallocating costs of existing --

4 MS. DAVIDSON: No, no --

5 MR. ROSSI: No, no, no.

6 MS. DAVIDSON: No, no, no. There's no  
7 reallocation. It was just to --

8 VICE PRESIDENT HOCHSTETTER: It's just an  
9 illustration?

10 MS. DAVIDSON: Well, I say an illustration,  
11 but some of this is based on facts of what's happening in  
12 the system today to give us an indication as to what percent  
13 you might use for the future.

14 VICE PRESIDENT HOCHSTETTER: But the  
15 methodology drives what you use for the future, so here  
16 again these are just illustrative numbers.

17 MS. DAVIDSON: -- two places. This is just  
18 first to say: Is there or should there be a regional zonal  
19 split?

20 VICE PRESIDENT HOCHSTETTER: Okay.

21 MS. DAVIDSON: And if there is, what should  
22 the percentage be --

23 VICE PRESIDENT HOCHSTETTER: Okay.

24 PRESIDENT BODE: -- allocated to the zones --

25 MS. DAVIDSON: -- would be allocated

1 between --

2 VICE PRESIDENT HOCHSTETTER: -- but the  
3 percentage should be driven by the allocation model.

4 MR. DESSELLE: Right.

5 VICE PRESIDENT HOCHSTETTER: You don't  
6 arbitrarily pick a number first. You let the model dictate  
7 the percentage split. Okay. I just needed that  
8 clarified --

9 MR. TOTTEN: But I think it should be clear --

10 PRESIDENT BODE: -- to identify whether there  
11 is a need to go -- to even look at a model --

12 VICE PRESIDENT HOCHSTETTER: It sounds like  
13 all the models show that there is going to be some regional  
14 benefit to all the allocation methodologies.

15 MS. DAVIDSON: Well, the issue then becomes  
16 which model do you decide to choose and on what basis do you  
17 choose that, which gets back to the percent of regional  
18 zonal split.

19 MR. TOTTEN: But you also have to decide  
20 whether you take that number forever -- or you take that  
21 model forever and apply it --

22 VICE PRESIDENT HOCHSTETTER: I thought we were  
23 going to do this on an annual basis -- periodically  
24 reallocate base -- because of the fact we don't want free  
25 riders, we don't want, you know, one zone to perpetuate and

1 have to pay for something if in fact -- or two or three  
2 zones -- if in fact three years from now all the zones  
3 benefit. This shouldn't be static. It should be an annual  
4 re-look. I thought we were all pretty much in agreement on  
5 that.

6 MR. TOTTEN: No, we're not.

7 MR. HOLLOWAY: I think that is a decision that  
8 we need to look to the RSC for, because -- I mean, the issue  
9 is exactly as Jess said, whether or not you do your best --  
10 you know, like you do whatever rate design now where you do  
11 the best model you can come up with and come up with a  
12 percent, and that percent is just what you use until the  
13 next time you do it, or whether you adopt a model that  
14 automatically updates every year.

15 So, I mean, you know, what Bruce has shown  
16 from his analysis is that if you look out over the next 10  
17 years, it really doesn't change that much; that that percent  
18 using that method wouldn't change that much for the regional  
19 versus the zonal allocation.

20 VICE PRESIDENT HOCHSTETTER: But that's based  
21 on what we know today. We have no idea how our markets are  
22 going to develop over the next 10 years.

23 MR. HOLLOWAY: Once again, if -- and I do want  
24 to throw this point out there. You mentioned how markets  
25 would develop, if you -- that indicates -- there are -- I'm

Attachment 1 - transcript

1 not sure that the base plan model is actually -- would  
2 actually consider that because I think you're using  
3 designated network resources when you dispatch in that.

4                   A designated network resource would be where  
5 the load serving entity has bought capacity from a  
6 generator. That may not be the generator that dispatches,  
7 but the idea of the reliability plan is to have transmission  
8 there so that they can get power from that generator in  
9 times of -- you know, in times where all you can serve is  
10 firm transmission load.

11                   So the issue is -- if you run some sort of AEP  
12 model, what AEP has done -- if you use this for base plan --  
13 and I'm going to be a little bit critical because I've  
14 expressed this criticism to them -- is that what they have  
15 used is an economic dispatch model to look at how you use  
16 the system that you've built for reliability that only  
17 serves the designated network resources with capacity. So I  
18 think -- my personal opinion is SPP's model does a better  
19 job, at least in the regional zonal, in the first cut -- in  
20 the first allocation -- because it looks at what you're  
21 building the system for. And that's so that the units you  
22 have bought capacity and claimed as designated network  
23 resources can serve the loads.

24                   MR. PROCTOR: I kind of -- I don't necessarily  
25 disagree with Larry, but I think you are building a system

82

1 for reliability, and the SPP approach to allocate  
2 reliability benefits as the chosen -- I think is valid. But

Attachment 1 - transcript

3 I think that the AEP study shows that even though you build  
4 something for reliability, it also provides economic  
5 benefits. And one of the ways I'm beginning to look at this  
6 is this split between "x" percent and 1 minus "x" percent.  
7 And the "x" percent is what you roll into the regional rate,  
8 is -- would be -- the economic benefits would mirror those  
9 economic benefits, but the 1 minus -- the remainder,  
10 whatever it is -- say it's 25/75. You know, 25 percent  
11 would roll into the rate because we recognize that everybody  
12 in the region is going to get some economic benefit from  
13 this. And the 75 percent, if that's the number, is  
14 allocated to the specific zones that are getting reliability  
15 benefits from an upgrade.

16 Now, whether the 25/75 is the right split  
17 between those two, I don't have the answer to that. But  
18 that's kind of the way I'm beginning to see it.

19 PRESIDENT BODE: Mike, I would like your input  
20 on the concept that the percentage could vary by the voltage  
21 level under the SPP loop flow test.

22 MR. PROCTOR: Larry put some numbers  
23 together -- well, we had SPP put the numbers together. What  
24 we looked at was this megawatt-mile loop flow that SPP had  
25 run. And what this -- what it indicated was pretty -- I'll

83

1 call extra high voltage lines. I kind of split it -- and  
2 Larry tried to put a graph together. I kind of split it  
3 between extra-high voltage --

4 PRESIDENT BODE: Right, 345 kV and above.



5 MR. PROCTOR: -- and I kept the 69 kV out. So  
6 I did above 100 kV to 345 and grouped those. And what it  
7 indicates is that overall -- remember it was 33 percent --

8 PRESIDENT BODE: Right.

9 MR. PROCTOR: -- it showed the extra-high  
10 voltage lines -- the loop flows with those -- I'm trying to  
11 remember the numbers, but they were 45 percent that were  
12 higher. And then for the -- for the other -- the  
13 lower-voltage lines -- the 180 to 250 or whatever it was --  
14 those tended to have lower loop flows on those lines.

15 So you could definitely see that the higher  
16 voltage lines tend to -- I'm going to use the word -- I hope  
17 not inappropriately -- "attract" more loop flow than the  
18 lower-voltage lines.

19 So it's possible we looked at some numbers on  
20 that. We really haven't had time to analyze those in great  
21 detail whether or not we were even going to go this route.  
22 And if we did go that route, would it make sense to say if  
23 it's an extra-high-voltage project, then we ought to put a  
24 larger percentage into the regional rate.

25 You know, my guess is that when you run the

84

1 AEP study, the same thing is going to happen. I'm  
2 guessing -- I don't know if somebody on the line from AEP  
3 has any thoughts on that -- but when you put in higher  
4 voltage lines, you're probably going to produce more  
5 economic benefits throughout the region than you would with  
6 the lower voltage lines, particularly -- just the length

7 and --

8 VICE PRESIDENT HOCHSTETTER: Does SPP have any  
9 feel for how much the voltage level percentage is going to  
10 vary from your basic megawatt-mile loop flow test?

11 MR. REW: I think it goes back to what Mike  
12 said. In our analysis the percentage was declining,  
13 starting with the higher level is much more regional, going  
14 down to -- I think the lowest one was approximately 20  
15 percent for the 69 kV lines. Does that answer your  
16 question?

17 VICE PRESIDENT HOCHSTETTER: No. I mean,  
18 would the number be higher or lower than 33 percent for the  
19 voltage level variation on your megawatt-mile loop-flow  
20 test for the percentage that goes --

21 MR. REW: Well, let's say a 345 facility,  
22 which would be much more regional --

23 VICE PRESIDENT HOCHSTETTER: Right.

24 MR. REW: -- approximately 50, 60 percent  
25 regional. But if you're looking at your 10-year plan -- the

85

1 projects you looked at for the next 10 years -- would that  
2 number be higher or lower than 33 percent? Do you have more  
3 high voltage lines in your next 10-year plan or lower  
4 voltage lines?

5 MR. REW: We have more -- we have more lower  
6 kV lines, but we do have a few high voltage lines. So  
7 whether or not they'll offset each other --

8 VICE PRESIDENT HOCHSTETTER: -- because of the

9 wei ghting?

10 MR. REW: Yeah, because of the weighing.

11 VICE PRESIDENT HOCHSTETTER: I was just  
12 curious if you had a feel for it -- the answer is "no."

13 PRESIDENT BODE: Does it make sense to do that  
14 as opposed to fixing it at one of these 10 or 25 or 30 or 50  
15 or whatever? I guess you had 33 as your weighted number on  
16 your test?

17 MR. REW: Yes. And that 33 -- there's several  
18 things that we considered in that. One is that for high  
19 voltage contingencies the flow will go to the lower kV  
20 lines. So at that point the lower kV lines will be carrying  
21 more regional transfers. And the opposite applies as well.  
22 When you put in a higher kV line, it reduces flows on the  
23 lower kV facility. So they kind of offset each other.

24 So by looking at what the existing use of the  
25 system is, we can use that to allocate transmission upgrades

86

1 for the next designated period. Then at that point, if we  
2 want to, let's say, on an annual or every-other-year basis  
3 recalculate this and then designate the next set of upgrades  
4 based on the new usage, that's something that could be  
5 done --

6 PRESIDENT BODE: So it might address the issue  
7 that Sandy has been talking about, in terms of the AEP  
8 model, that your model might more accurately reflect and  
9 provide that flexibility?

10 MR. REW: Yeah. And that's to show that if we

Attachment 1 - transcript

11 were trending the more regional -- more local --

12 VICE PRESIDENT HOCHSTETTER: I think the  
13 goal -- in my mind anyway -- is to reflect the changed  
14 nature of the beneficiaries based on the changed use of the  
15 system, have a way of, as accurately as possible, matching  
16 beneficiaries with the investment.

17 MR. BROWN: They could be updated every two  
18 years on the planning cycle.

19 VICE PRESIDENT HOCHSTETTER: Yeah.

20 MR. REW: Yes.

21 PHONE PARTICIPANT: This is (inaudible) for  
22 AEP, and can I add something to what you say?

23 PRESIDENT BODE: Sure.

24 PHONE PARTICIPANT: Maybe (inaudible) is the  
25 one that we are kind of proposing. Only difference is that

87

1 the (inaudible) look at that snapshot for one year on  
2 (inaudible) load conditions. Our matter goes to the details  
3 (inaudible) and looks at hourly or weekly dispatch for the  
4 entire year and trying to find out the actual usage on a  
5 different time of the year. So if it is the same method as  
6 SPP is talking (inaudible), our method goes to the smaller  
7 details to find out the system usage on an hourly basis.

8 (Inaudible) used by SPP (inaudible) sort of  
9 an -- just a snapshot. So you examine the same line, and  
10 the matters that we are proposing can be used and easily --  
11 using the megawatt mile --

12 PHONE PARTICIPANT: -- also add to that that

Attachment 1 - transcript

13 in the summertime a lot of times what you find out is those  
14 EHV lines are not as heavily loaded as they are in the off  
15 season.

16 PHONE PARTICIPANT: That's right.

17 PHONE PARTICIPANT: The percentage usage of  
18 the HVs will be allocated a lot higher than what you're  
19 coming up in (inaudible) summer time.

20 MR. PROCTOR: What I think you're hearing  
21 now --

22 MR. PROCTOR: Commissioners, if I can  
23 interject, it's the difference between capacity benefits and  
24 reliability benefits and energy benefits --

25 MR. HOLLOWAY: Yeah.

88

1 MR. PROCTOR: -- they're saying I absolutely  
2 agree with. But they are talking about the use of the line  
3 throughout the year, which is energy benefits.

4 VICE PRESIDENT HOCHSTETTER: Denise and I were  
5 just kind of having a side-bar conversation and, you know,  
6 our history is from the natural gas industry. Would it make  
7 sense -- I mean, we do this with fuel adjustment clauses --  
8 would it make sense to begin with an allocation  
9 methodology -- or an allocation proposal that makes sense,  
10 maybe using the SPP model, but then use the AEP model as a  
11 true-up approach to fine tuning what the original allocation  
12 was via the SPP methodology?

13 MR. HOLLOWAY: I think what Mike -- and I  
14 wanted to make sure that you understood where we were kind

Attachment 1 - transcript

15 of thinking -- what the CAWG was saying -- at least I know  
16 Mike and I had talked about this -- and that is because the  
17 SPP model does reflect how you're upgrading the system to  
18 meet reliability, you would use that to kind of determine  
19 how much went into the regional side of it. Now, when you  
20 got to the zonal allocation -- when you look at these  
21 upgrades, they also have economic benefits. So you use the  
22 AEP allocation to kind of figure out what the economic  
23 benefits were -- as least that's my thoughts on it.

24 VICE PRESIDENT HOCHSTETTER: So are you saying  
25 the SPP model for the regional and the AEP model for the

89

1 zonal allocation?

2 MR. HOLLOWAY: -- among the zones.

3 VICE PRESIDENT HOCHSTETTER: Oh, okay.

4 UNIDEN. SPEAKER: There's nothing wrong with  
5 that.

6 MR. PROCTOR: Or some variation.

7 MR. HOLLOWAY: That's our thoughts. I can't  
8 say they're firmly developed --

9 MR. BROWN: There you go.

10 MR. HOLLOWAY: -- and do a true-up on the  
11 regional allocation and the --

12 PRESIDENT BODE: Yeah.

13 VICE PRESIDENT HOCHSTETTER: I like that.  
14 There's some --

15 PRESIDENT BODE: -- there a cost factor  
16 involved in the modeling and stuff?

Attachment 1 - transcript

17 MR. REW: That's --  
18 PRESIDENT BODE: -- what do you prefer, Bruce?  
19 MR. REW: To me, simpler is better. The  
20 economic analysis, in determining a region-wide versus  
21 local, I think requires a lot of assumptions to be made.  
22 And, you know, moving forward to determine the "x" I  
23 think -- I'm biased, but I think I like our proposal of a  
24 one-third allocation to start with, and then we can look at  
25 how the system changes over time and adjust that number if

90

1 we need -- if we move to more regional or if we move to more  
2 local.

3 MR. LOUDENSLAGGER: This is Sam Loudenslager.  
4 Can I ask a question?

5 PRESIDENT BODE: Yes.

6 MR. LOUDENSLAGGER: You just said something  
7 that kind of caught my attention. So the 33 percent figure  
8 wouldn't be reevaluated on an annual basis and changed  
9 upward or downwards? It would be -- if I understand you  
10 right -- it would be used until such time as the deviation  
11 from that 33 percent is significant enough to warrant the  
12 change. Am I understanding or not understanding you?

13 MR. REW: We could do it that way, Sam, or you  
14 could do it on an annual basis at the end of each planning  
15 cycle. We could put all the new upgrades into the system,  
16 we could determine what the regional versus zonal allocation  
17 is and allocate the costs for those upgrades based on that  
18 number.

19 VICE PRESIDENT HOCHSTETTER: Could you also,  
20 though, at the same time as you do a renewed look at it with  
21 your allocation methodology, would it make sense to do a  
22 true-up via the AEP methodology to look at how the system  
23 was actually used? Because yours is forward-looking; AEP's  
24 is what actually happened.

25 MR. HOLLOWAY: Let me express one concern

91

1 about a true-up that I hadn't thought of -- and I know we do  
2 it in Kansas, but I'm not sure it's legal in all states. I  
3 know Missouri does not have an energy clause adjustment --

4 PRESIDENT BODE: Now, don't disclose anything  
5 you don't want on the record here, Larry.

6 (Laughter)

7 MR. HOLLOWAY: No, I'm saying this as an  
8 engineer talking about the law. So, I mean, I want to  
9 clarify, you know, my --

10 VICE PRESIDENT HOCHSTETTER: That is a good  
11 point. Yeah. We could do that with an ECR, although, if we  
12 put this in a federal tariff and it's through the RTO and  
13 you approve your utility's participation in the RTO, it  
14 would be an automatic FERC tariff that would automatically  
15 apply to your rates. It wouldn't have to be KCC  
16 jurisdictional.

17 MR. HOLLOWAY: Well, yeah, like I said, I  
18 don't think we have trouble in Kansas. You might have  
19 trouble getting Missouri to support that, though, if it's  
20 against what their --



Attachment 1 - transcript

21 VICE PRESIDENT HOCHSTETTER: I mean, I would  
22 think the same FERC approach would apply in Missouri, too --  
23 MR. PROCTOR: -- your concern --  
24 VICE PRESIDENT HOCHSTETTER: -- that's federal  
25 preemption.

92

1 MR. PROCTOR: -- your concern, Larry?  
2 MR. HOLLOWAY: Well, my concern is I know in  
3 Missouri you can't do an energy clause adjustment. So, I  
4 mean, if you have -- you know, whether you would be --  
5 whether you would be prohibited from having some fluctuating  
6 transmission true-up at the end of the year or something,  
7 maybe a -- maybe it's an invalid concern.  
8 SECRETARY PARSLEY: This is Julie --  
9 MR. PROCTOR: I'll talk to you later about  
10 that.  
11 SECRETARY PARSLEY: This is Julie. I think  
12 we're creating a mess -- I mean, just to be kind of blunt.  
13 I mean, I don't know how you would true it up. What if you  
14 paid -- what if it changed going forward? Would you go back  
15 and adjust to the day the tariff went into place for those  
16 rates that had been paid? Would you true-up going forward?  
17 How would you -- you're talking about -- I just don't know  
18 how -- how you would actually, as a practical matter, make  
19 it work if you started doing true-ups to try to be more  
20 accurate with the use of the system.  
21 VICE PRESIDENT HOCHSTETTER: Maybe we would --  
22 instead of trueing up on a retroactive basis, you'd true-up

23 on a forward-looking basis. In other words, take last  
24 year's historic data and use that to forecast the future one  
25 year or two years use of the system and the beneficiaries.

93

1 MR. HOUSE: Yeah, they're already going to be  
2 a formula rate that's, you know, altered slightly every year  
3 anyway.

4 MR. HOLLOWAY: I think that might address  
5 everybody's concern if you just did it at the end of that  
6 year and then you had that -- that amount that went into the  
7 formula rate that was split out and you didn't have to worry  
8 about triuing up based on actual revenues.

9 SECRETARY PARSLEY: What would you do if you  
10 got a lawsuit from someone in the zone that said, "I'm now  
11 paying way too much because the region is actually using 60  
12 percent of this and I'm actually -- I'm paying -- I'm paying  
13 more than my share"?

14 MR. HOLLOWAY: Well, I would talk to my  
15 attorneys.

16 (Laughter)

17 MR. BROWN: What's popping into my mind is a  
18 plea for simplicity here, because, you know, in the grand  
19 scheme of things today, we've got 5 percent of the business  
20 constraining 95 percent of the business and we need to move  
21 past that.

22 SECRETARY PARSLEY: And I suppose maybe what I  
23 was trying --

24 MR. BROWN: From a staff perspective, if we

25 use the AEP versus the SPP, well, okay, fine.

94

1                   SECRETARY PARSLEY: And I think what got my  
2 attention was when Bruce said there were a lot of  
3 assumptions. And assuming things means you're not going to  
4 get a real world and you're truing up -- so you're actually  
5 truing up a hypothetical world to a second hypothetical  
6 world. And I guess that's what I mean by you're getting  
7 people in zones who are going to be concerned they're paying  
8 more when, actually, they're being used regionally -- or  
9 vice versa.

10                   If we knew there was 100 percent or even a 99  
11 or 95 percent we were going to get something close to what  
12 the real world is if we sort of kept running these models  
13 going forward, that would be one thing. But I think --

14                   PRESIDENT BODE: You're saying at least doing  
15 rough justice would provide certainty?

16                   SECRETARY PARSLEY: Right. I think certainty  
17 in this situation, which is what I think everybody is  
18 looking for, is -- in my opinion, humble as it is -- that is  
19 what I think would be the best for the RTO going forward,  
20 especially if what we're trying to do is figure out what's  
21 going to be the most equitable and doing kind of more of a  
22 rough justice where we think we're going to be allocating  
23 those costs in a definitive fashion so that we aren't always  
24 second guessing ourselves is -- to me seems preferable.

25                   VICE PRESIDENT HOCHSTETTER: I think rough

1 justice on a forward-looking basis makes a lot of sense.  
2 But if the AEP model actually captures the data -- and I  
3 thought somebody was going to be running this computer model  
4 to capture actual real data -- so that our historic look  
5 would be based on real transactions, and you can use the  
6 historic, real transaction data for forward allocation  
7 purposes -- that's not what we're doing?

8 MR. BROWN: No.

9 MR. DESSELLE: No. I'd need Raj to clarify  
10 that, but it seems to me that what I think we talked  
11 about -- this is Michael Desselie again -- is that basically  
12 a load flow model that projects into the future and doesn't  
13 actually take the data, to go back and get all that historic  
14 data on an annual basis for that load flow model --

15 UNIDEN. SPEAKER? That would take a lot of  
16 work.

17 MR. DESSELLE: -- and it would require  
18 somebody to actually collect --

19 VICE PRESIDENT HOCHSTETTER: Well, I thought  
20 the market monitor, as a for instance, was going to be  
21 collecting that sort of data. I thought it was going to be  
22 collected somewhere by somebody --

23 MR. DESSELLE: -- I think what we were  
24 proposing is essentially the same thing. We're both using  
25 the same model. All we're doing is proposing some more

1 granularity to that model to not only just look at the  
2 snapshot in time at the peak, but what the impacts are at  
3 different seasons throughout the year, and you get a much  
4 better impact of who benefits at that -- in using that  
5 proposal. And in a sense, if, you know -- I know what  
6 they're suggesting is use our model where we look at the  
7 snapshot, and then on the annual basis evaluate and see if  
8 that was right and then modify it on an annual basis. But,  
9 you know, essentially you could do the same thing with our  
10 proposal, take that granularity, evaluate it on an annual  
11 basis, and make an adjustment each year if it's -- or every  
12 two years or whatever is decided. I think going back and  
13 actually using actual data might be somewhat difficult, but  
14 maybe that is --

15 VICE PRESIDENT HOCHSTETTER: I just assumed it  
16 was going to be tracked and collected.

17 MR. DESSELLE: It may be.

18 MR. REW: Well, the --

19 PRESIDENT BODE: Bruce?

20 MR. REW: -- discussion we had yesterday was  
21 if we looked at actual data, we'd still have to make the  
22 assumption on what the prices would have been with or  
23 without the upgrades in there. And that's where you have to  
24 get into big assumptions. You may know what the price is,  
25 but you don't know what the price would have been.

1 MR. HOLLOWAY: It's similar to -- and we've  
Page 90

Attachment 1 - transcript

2 had a couple of cases in Kansas where you had utilities  
3 merge and you allowed some merger savings to compensate for  
4 acquisition premiums. And, you know, whether -- whether you  
5 wait until the future and try to look backwards and say,  
6 "How would these two utilities have operated had the merger  
7 not occurred," or whether you take this point in time and  
8 look forward and try to see what would have been -- you  
9 know, what the difference is going to be now that they've  
10 merged. Either way you have to make a lot of estimates, and  
11 that's the difficulty that we --

12 PRESIDENT BODE: Do we have any more comments  
13 on this?

14 MR. BRIAN: David Brian, East Texas Co-op and  
15 others. These flow-based models sound really neat. And I'm  
16 an engineer, and for that reason I can kind of appreciate --

17 PRESIDENT BODE: -- models, are you talking  
18 about both the SPP and --

19 MR. BRIAN: Yes. Both the SPP and the AEP  
20 flow-based-megawatt-mile-type approaches. But there are a  
21 lot of problems with them, and then the assumptions are one  
22 thing.

23 I would also ask you to consider the  
24 anti-competitive implications. And really there's two  
25 things there. First of all, to the extent that you're

98

1 looking at flows and reallocating costs (phone tone) in the  
2 transmission system, it has an anti-competitive implication,  
3 because parties that enter into transactions that require

Attachment 1 - transcript

4 these upgrades, you know -- remember designated network  
5 resources are going to be in the base plan -- and two  
6 parties enter into a transaction, one of them is going to be  
7 a winner and one of them is going to be a loser when it  
8 comes to the transmission piece because it's going to  
9 recalculate during the term of the transaction potential  
10 some of these approaches. And that, you know, is  
11 problematic.

12 Another thing to consider is that flow-based  
13 models are basically a form of (inaudible) of rates. And to  
14 the extent that an entity is being allocated costs for a  
15 remote system, then it -- it provides a disincentive for  
16 somebody to buy power from a distance away. It favors the  
17 local incumbent generation --

18 VICE PRESIDENT HOCHSTETTER: Ah -- doesn't it  
19 just favor whoever is cheapest?

20 MR. BRIAN: It favors whoever is nearby and,  
21 you know, it's a disincentive for expanding the transmission  
22 system. And I think -- you know, we'd like to think of this  
23 as being a big regional market, but what we're talking is a  
24 big regional market which would mean that all generation  
25 within the footprint would be competitive. And to -- to

99

1 allocate costs -- more costs for generation that's further  
2 away, all it does is says, "Well, I'm going to buy it from  
3 the guy next door and I'm not going to spend money to make  
4 that upgrade."

5 VICE PRESIDENT HOCHSTETTER: But isn't that  
Page 92

Attachment 1 - transcript

6 part of the cost? You're looking at the delivered cost. If  
7 you're going to do apples to apples, you have to look at G  
8 plus T combined, the cost delivered to the load, right?

9 MR. BRIAN: Absolutely. And I would say that,  
10 you know, if you build these upgrades, you're going to save  
11 more money on G than the cost of the T.

12 MR. BROWN: But that's not what's being  
13 debated here. We're not talking about that at all. I mean,  
14 philosophically, I won't argue with you at all. But this  
15 application of the megawatt-mile methodology has absolutely  
16 nothing to do with the issues you're talking about.

17 MR. BRIAN: No, it absolutely does.

18 MR. BROWN: No, it doesn't. No.

19 MR. BRIAN: To the extent you're -- the  
20 perpetuation of the zones is a real problem in our view. We  
21 would encourage you to consider getting away from these  
22 zones in the long term -- in the long term. I know there  
23 will be transition, but there is absolutely a problem. The  
24 problem you have today under the tariff -- and Mike alluded  
25 to it earlier -- is the end pricing. If I'm over in

100

1 Oklahoma and somebody in Texas or Arkansas does something to  
2 cause an upgrade in Oklahoma, I can certainly understand why  
3 people in Oklahoma are sitting there saying, "Why should we  
4 pay for that? That's somebody over there."

5 So these zones are a real problem, and to  
6 allocate -- getting back to his point -- to allocate costs  
7 in an adjacent zone based on megawatt miles from



Attachment 1 - transcript

8 something -- to allocate costs to Arkansas for Oklahoma,  
9 using a megawatt-mile approach, to allocate those costs is  
10 allocating costs from a remote region, and so it has an  
11 end-pricing effect to that Arkansas zone. And we would  
12 encourage you to think about getting away from these zones  
13 and going to a regional rate long-term.

14 PRESIDENT BODE: But I thought that's what we  
15 were doing. We're talking about how much you allocate to  
16 the regional-wide rate.

17 VICE PRESIDENT HOCHSTETTER: -- in the  
18 zones --

19 MR. BRIAN: Well, to allocate a portion --

20 MR. BROWN: Well, your argument is 100 percent  
21 ought to go to the region-wide rate.

22 PRESIDENT BODE: Right. No, I understand  
23 that.

24 MR. BRIAN: Absolutely long-term.

25 PRESIDENT BODE: Well, and if you're talking

101

1 about -- they're talking about at least beginning with 33  
2 percent and the other -- and yours is like 100 and then  
3 we're talking also about -- as a starting point, and then I  
4 think the other idea that we talked about at the beginning  
5 was varying that percentage by voltage level. So if you had  
6 a large 345 kV, it could be as high as 50 or 60 or higher  
7 percent would be a regional benefit, and if you had a lower  
8 kV line then it would be much more localized. So you may  
9 get closer to what you're interested in by going that

Attachment 1 - transcript

10 approach than by just going with a straight out 33 percent.

11 MR. BRIAN: It is absolutely a step in the  
12 right direction and a big step in the right directions, but  
13 we encourage you to think beyond that if you could.

14 PRESIDENT BODE: Okay. Well, now -- you know,  
15 I think what we're all trying to figure out is a starting  
16 point right now. And I may agree with you that having our  
17 regional rate is the right objective overall, but I'm not  
18 sure that we've got a consensus on that, and that what we  
19 have to figure out is how we get there. You know, I think a  
20 lot of folks want to feel comfortable with where we're  
21 going, and I certainly want to accommodate, you know,  
22 everyone in the group feeling comfortable where we're going.  
23 I think that's why I'm probably a little bit more interested  
24 in the SPP megawatt-mile approach, maybe with a variation  
25 that you could look at voltage levels, to determine as

102

1 opposed to just the flat 33 percent.

2 VICE PRESIDENT HOCHSTETTER: I think we need  
3 to look at more granularity, too, like AEP's proposal. You  
4 know, I'm just a firm believer in --

5 PRESIDENT BODE: Sure.

6 VICE PRESIDENT HOCHSTETTER: -- cost causers  
7 pay the cost. Beneficiaries pay for whatever upgrades have  
8 to be made. You know, socialized pricing is the absolute  
9 last thing I want to see in this industry because it  
10 destroys the transparency. It destroys the economics of the  
11 generation resources. So on -- did somebody say something

Attachment 1 - transcript

12 on the phone?

13 PHONE PARTICIPANT: I heard an "amen,"

14 Chairman.

15 VICE PRESIDENT HOCHSTETTER: Yeah. So  
16 whatever approach we come up with as a consensus, I just  
17 feel strongly it needs to have, you know, some symmetry  
18 between costs and who pays for those costs.

19 MS. DAVIDSON: I have a question. Is the  
20 granularity that you think that's occurring in the AEP model  
21 because they run it more than just a snapshot in time? Is  
22 that what you're referring to when you say that?

23 VICE PRESIDENT HOCHSTETTER: The AEP model  
24 looks more at actual usage of the system during all times of  
25 the year as opposed to peak usage alone. That's one of the

103

1 benefits of that, because the system usage does vary.

2 MS. DAVIDSON: Right. That's what I'm saying.  
3 They take a snapshot -- I guess the SPP model took a  
4 snapshot, but I don't know that -- AEP didn't look at 365  
5 days in a year. They had certain -- that's all I'm asking  
6 for, that looking at it six times versus one-time during the  
7 year is what you're calling more granularity?

8 VICE PRESIDENT HOCHSTETTER: I'm not sure how  
9 much granularity is in the AEP approach, but, you know --

10 MR. DESSELLE: They have an hourly base-- Raj,  
11 can you clarify that?

12 VICE PRESIDENT HOCHSTETTER: Yeah. Are you  
13 there?

Attachment 1 - transcript

14 MR. BROWN: Let me suggest something. If I  
15 look at the -- and, Michael, tell me if I'm wrong -- but if  
16 I look at the AEP modeling process, it's really not to  
17 decide what "x" is.

18 MR. DESSELLE: No, no, it's for new  
19 facilities. But you could use the same -- well, let me --  
20 that's why I was trying to ask the question earlier -- this  
21 is Michael Desselte again -- is what we're looking at here  
22 going to ultimately change the way we pay for transmission  
23 today? When we -- you know, if we come up with this --  
24 let's say we chose 33 percent and we went with the SPP  
25 number, so today in our tariffs we have --

104

1 MR. BROWN: We have a zero regional rate --

2 MR. DESSELLE: Yeah, we recovered from retail.  
3 So now what you're suggesting is that 33 percent of the cost  
4 now would be recovered --

5 MR. BROWN: For new upgrades -- only new  
6 upgrades.

7 MR. DESSELLE: So is that what this is for?

8 MR. BROWN: Absolutely. We're only talking  
9 about new stuff.

10 MR. DESSELLE: All right.

11 VICE PRESIDENT HOCHSTETTER: But they used the  
12 existing investment to -- just as a proxy or an illustration  
13 of what it might be on a going-forward basis using these  
14 different methodologies.

15 MR. DESSELLE: Then I think that -- I think --

Attachment 1 - transcript

16 I don't know. Raj, are you on the phone? What is the  
17 difference for -- is our proposal to do economic -- an  
18 analysis of economic upgrades or for new base-funded  
19 upgrades?

20 PHONE PARTICIPANT: It is both for both,  
21 Michael. It is for both, for reliability as well as  
22 economics. And it can identify the reliability benefits as  
23 well as after you calculate the reliability rate you go into  
24 the economics bucket.

25 MR. BROWN: But I still don't see that being

105

1 used to determine what portion ought to be in a regional  
2 rate. I do see it being used to decide what the allocation  
3 should be between zones.

4 PHONE PARTICIPANT: -- rate, but you look at  
5 the benefiting. Who is benefiting and how much?

6 MR. BROWN: Exactly. I absolutely agree with  
7 you.

8 PHONE PARTICIPANT: That now --

9 MR. BROWN: That's Page 7. We're on Page 6,  
10 and --

11 MR. PROCTOR: Can I respond?

12 MR. BROWN: -- and I agree with Page 7.

13 MR. PROCTOR: Let me respond. In a pure sense  
14 I absolutely agree with what you're saying. I have  
15 significant problems with doing allocations based upon a  
16 calculation of economic benefits, and here's my problem is,  
17 as you were making assumptions about gas prices --

Attachment 1 - transcript

18 MR. BROWN: Oh, yeah.  
19 MR. PROCTOR: -- you change those prices and  
20 the benefits are going to dramatically change in terms of  
21 who they go to.  
22 MR. BROWN: Yes.  
23 MR. PROCTOR: Now -- however --  
24 PHONE PARTICIPANT: (Inaudible)  
25 MR. PROCTOR: -- Raj -- Raj -- yeah, I know.

106

1 Let me finish and then you can talk. So were you present --  
2 one of the things that was very clear to me in the SPP  
3 study, though, was that the reliability benefits (phone  
4 tone) that you were measuring in terms of megawatt miles  
5 when you look at these projects weren't region-wide. They  
6 didn't show up region-wide. They showed up to three or four  
7 zones. They weren't region-wide.

8 And I -- I'm not comfortable with this 33  
9 percent, which is -- I mean, yeah, you've got these loop  
10 flows, but I'm not comfortable with that as a region-wide  
11 indicator. However, the AEP study showed that any  
12 reliability upgrade also has economic impacts, and that  
13 those impacts tend to be more region-wide.

14 And so I began to look at that to say: Does  
15 their studies provide more of a rationale -- not for a  
16 specific allocation to specific people, that might vary from  
17 gas prices and do all that. But my (inaudible) indication  
18 of how much -- when we do these upgrades -- how much of a  
19 benefit really gets spread throughout the entire region?

Attachment 1 - transcript

20 Because I think more economic benefits from these upgrades,  
21 even though they're reliability upgrades, affect the entire  
22 region than just the reliability portion of it. And they  
23 have those, too -- and by the way --

24 MR. BROWN: And then I guess my question is:  
25 What does this percentage end up being? I mean, do we know

107

1 that?

2 VICE PRESIDENT HOCHSTETTER: With the AEP  
3 model, which is the question I asked about an hour ago.

4 MR. BROWN: Is it 31 percent --

5 MR. PROCTOR: We don't know yet --

6 PHONE PARTICIPANT: (Inaudible) depends on the  
7 project you're looking at --

8 MS. DAVIDSON: (Inaudible)

9 VICE PRESIDENT HOCHSTETTER: -- you looked at  
10 the 10 years worth of projects --

11 MR. PROCTOR: Yes, now you're --

12 VICE PRESIDENT HOCHSTETTER: That's all we --  
13 we need to look at the 10 years, Michael, of projects that  
14 SPP has come up with for the next iteration of the plan and  
15 run them through your model to see what that percentage  
16 figure looks like, what the breakout is.

17 MR. DESSELLE: I know we keep saying "our  
18 model" and "their model," it's the same model --

19 MR. BROWN: Well, it's a different  
20 application.

21 MR. DESSELLE: -- with different granularity,  
Page 100

Attachment 1 - transcript

22 but I thought that's what SPP was running.

23 Now, Raj, do I have that incorrect?

24 PHONE PARTICIPANT: That's correct. It is the  
25 same approach (inaudible) just slight variations.

108

1 MR. DESSELLE: But the question is, Raj, who's  
2 running that analysis? Are you doing it or is SPP doing it?

3 PHONE PARTICIPANT: SPP is doing this.

4 MR. REW: The analysis --

5 PHONE PARTICIPANT: (Inaudible) all the tools  
6 and expertise to do that, and they have --

7 MR. REW: Yeah, the analysis that we're going  
8 to look at is including all of the upgrades in our existing  
9 10-year plan, which is approximately 30 upgrades all in one  
10 bunch.

11 VICE PRESIDENT HOCHSTETTER: All right.

12 MR. REW: Now, to go and do those individually  
13 will take a huge amount of time --

14 VICE PRESIDENT HOCHSTETTER: Well, I think  
15 we're looking at doing it -- yeah -- all at one time. And  
16 when can we get that information? When can we get the cost  
17 allocation --

18 MR. REW: We'll try to get done by the end of  
19 next week.

20 VICE PRESIDENT HOCHSTETTER: Because -- I  
21 mean, I think that would be helpful to us as Commissioners  
22 to see that and see how much similarity there is with that  
23 and these other approaches versus variation.



Attachment 1 - transcript

24 MS. DAVIDSON: But isn't that -- I mean help  
25 me, Bruce -- in the SPP model that you ran -- the example

109

1 that we have where you did the 24 million project, I  
2 think -- I was thinking if you ran the AEP model to see the  
3 benefit that AEP is talking, you'd have to run each project  
4 because you have different beneficiaries as opposed to  
5 trying to lump it all into a single run. Is that -- I  
6 mean --

7 MR. REW: Yes, what we discussed here is  
8 lumping it all into a single run, which would reflect the  
9 total change in the topology, and that's where we -- the new  
10 SPP transmission system would be, and that would be a  
11 comparison of today's transmission system versus with all  
12 the upgrades and what the difference in economic impacts  
13 would be.

14 MS. DAVIDSON: Okay. We don't have data now  
15 with the total SPP model with the way the base is now to  
16 compare that with in none of the data that you've provided  
17 us so far?

18 PRESIDENT BODE: In other words, the 33  
19 percent that you're talking about --

20 MS. DAVIDSON: Like -- yeah --

21 MR. REW: Well, there's not a change. The AEP  
22 methodology you'd have to look at a change in the system --

23 MS. DAVIDSON: Right.

24 MR. REW: -- to come up with a benefit.

25 MR. PROCTOR: We do have the base model --

1 MS. DAVIDSON: The base model -- that's what  
2 I'm saying --

3 MR. REW: Yeah, we have the base model --

4 MS. DAVIDSON: -- we have the --

5 MR. PROCTOR: -- don't want to look at one  
6 project compared to base and --

7 MS. DAVIDSON: No, no, no, I understand that.  
8 I understand that. I just want to know which run do we have  
9 now that you've already given us would be the base? Do you  
10 know one of the --

11 MR. PROCTOR: Well --

12 MS. DAVIDSON: -- but --

13 MR. PROCTOR: -- you're seeing a difference  
14 between the base and one project, the Northwest Arkansas  
15 project. So the base results you are not -- you're just  
16 seeing the difference.

17 MR. HOLLOWAY: Can I express a concern about  
18 this approach? And my concern is that if you had one  
19 transmission owner out there today -- and I don't know what  
20 the 10-year plan looks like. You had one transmission owner  
21 out there today and you looked over the next 10 years and  
22 you said, "Their system is going to fall apart, we've got to  
23 put in the plan that they replace it just like it is," then  
24 they would replace it like it is and this would show no  
25 change whatsoever for what they did.

1 MR. PROCTOR: Well, Bruce, you might address  
2 that. I think it's important to know what's going into the  
3 plan.

4 MR. REW: What's going into the plan are the  
5 upgrades that have been identified to maintain criteria over  
6 the planning horizon. So if you look at a five-year out  
7 model, you see a transmission overload, we would put in a  
8 new facility or upgrade that facility so that it meets  
9 criteria and compliance with standards.

10 MR. PROCTOR: Your plan isn't really  
11 addressing facilities that are -- I don't know how to  
12 characterize them -- that need to be totally replaced  
13 because they're 30 years old or 40 years old or --

14 MR. REW: No. The only time that would show  
15 up is if the facility was overloaded and then they were  
16 going to reconstruct it and expand the capacity or -- well,  
17 yeah, they would have to expand the capacity --

18 MR. PROCTOR: Which is really more of a  
19 question of the load on those facilities given the  
20 capacity --

21 MR. REW: Yes, it's the loading on the  
22 facility. It's not rebuilding the facility to the same  
23 capacity.

24 MR. PROCTOR: One of the things that we won't  
25 have -- if Bruce does this and does it by the end of the

Attachment 1 - transcript

1 week -- we will not have new designated resources in that  
2 plan, because we're just not there. The original plan did  
3 not include new designated resources, so we will not see  
4 that aspect of it in anything that Bruce runs.

5                   SECRETARY PARSLEY: Would that change the  
6 percentages, Mike? I mean, how would that impact it?

7                   MR. PROCTOR: Potentially -- potentially it  
8 could, particularly if you're doing the AEP study, because  
9 if you're (phone tone) if you're adding new resources,  
10 you're going to get different economics.

11                   MR. REW: Yeah. But, again, it depends on --  
12 it kind of depends upon the ratio of base and peaking  
13 resources that people are planning to add over the next  
14 several years. The IPP resources or the noncommitted  
15 resources would probably stay pretty much the same.

16                   But if -- you know, some people in some  
17 regions may be planning to put in baseload resources over  
18 the next several years, in the other regions -- peaking  
19 resources. So you could get some switches once you went and  
20 added the new network resources, but I don't think -- I just  
21 wanted to --

22                   VICE PRESIDENT HOCHSTETTER: If they're  
23 dedicated network resources, though, to a particular LSE's  
24 load, I would think that the zonal benefits would be -- I  
25 would think that there would be less of a regional

113

1 system-wide impact and more of a zonal impact so that the

Attachment 1 - transcript

2 percentage allocation into the region-wide postage stamp  
3 rate wouldn't vary that much.

4 MR. HOLLOWAY: Well, the problem is you're  
5 doing an economic dispatch. If you add more resources, you  
6 change the dispatch, and that's the concern -- well, yeah, I  
7 mean, it depends on how many resource --

8 VICE PRESIDENT HOCHSTETTER: If you're talking  
9 about capacity commitments, I wouldn't think it's going to  
10 change your economic dispatch that much -- I mean new  
11 capacity.

12 MR. PROCTOR: Well, Larry, I think that what's  
13 going to change (inaudible) the transmission additions. I  
14 think when you start putting in new network resources that  
15 the base plan is going to increase quite a bit more  
16 additions to the transmission system -- and, Bruce, tell me  
17 if I'm wrong -- I think that's where you're going to see the  
18 biggest impact.

19 VICE PRESIDENT HOCHSTETTER: Cost impact?

20 MR. PROCTOR: Impact in terms of -- in terms  
21 of benefits. If you start expanding that transmission  
22 system to reliably meet load and new network resources. The  
23 capacity for that system to do economic transactions,  
24 particularly in the off-peak and the shoulder period, is  
25 going to increase significantly. In other words, you're

114

1 going to be eliminating things that were constraints prior  
2 by adding additional transmission, and I -- that would be my  
3 bigger concern about not having new network resources in

4 there. So you may end up getting a lower estimate of the  
5 economic benefits than you would actually see if we had new  
6 network resources in.

7 PRESIDENT BODE: So, Mike, where are you  
8 coming from? What's your recommendation? I want a bottom  
9 line -- I want some bottom lines from people.

10 MR. PROCTOR: -- bottom lines and --

11 PRESIDENT BODE: And that's okay. I mean,  
12 y'all can talk amongst yourselves. I have to leave here in  
13 a little bit and I'd really like to know kind of where  
14 people are on this.

15 MR. PROCTOR: In terms of -- and I already  
16 said we support Option 3. In terms of the percentage, we  
17 are probably in the lower end of that percentage -- "x"  
18 percent factor as the Missouri Commission. I have talked to  
19 Commissioner Gaw -- I don't think we can say, "Hey, we  
20 support a specific percentage level." We tend to support  
21 more the cost causality approach to it in looking at the  
22 cost causation. I do realize there are some regional  
23 benefits out there --

24 PRESIDENT BODE: So none of these -- none of  
25 these things are -- you don't support any of the options you

115

1 put on your page?

2 MR. PROCTOR: I didn't -- those were options  
3 that other people presented.

4 PRESIDENT BODE: Oh, okay.

5 VICE PRESIDENT HOCHSTETTER: Well, would the

6 AEP option, do you think, come closer to the cost causation  
7 policy that you were just articulating?

8 MR. PROCTOR: I think -- I think what you're  
9 going to find is -- and, again, now I'm stepping out on a  
10 limb and predicting because I haven't seen the results yet.  
11 But I think what you'll find is that as you start putting in  
12 these projects -- not just one or two that you've looked at,  
13 but across the entire SPP region -- and you start looking at  
14 the economic benefits from those, that those would be pretty  
15 widespread.

16 And they won't be exactly even -- I mean, I  
17 don't hope for that. If I predicted that, I'd be crazy.  
18 But I think -- I think you'll see that the -- over this  
19 five-year period that they'll be looking at -- I think it's  
20 2005 to 2010 -- I think what you're going to see is that  
21 those economic benefits are fairly proportional to --

22 MR. DOTTHEIM: Excuse me, this is Steve  
23 Dottheim. Chairman Gaw was on the call. He dropped off and  
24 he's at the car and no one can dial in. It's a lockout. If  
25 somebody hits star 7 -- yeah, I think they'll let him in. I

116

1 will call him on his cell phone and I will be back and,  
2 hopefully, he'll be able to get back in.

3 VICE PRESIDENT HOCHSTETTER: Well, Nick just  
4 hit star 7, Steve --

5 MR. DOTTHEIM: Okay. I'm sorry for  
6 interrupting. I'm going to try to --

7 SECRETARY PARSLEY: No, thank you for telling

Attachment 1 - transcript

8 us. We had no idea.  
9 MR. BROWN: There we go.  
10 SECRETARY PARSLEY: Are y'all all still there?  
11 PHONE PARTICIPANT: Yes.  
12 SECRETARY PARSLEY: Oh, good.  
13 MR. BROWN: I hit pound 7 --  
14 (Laughter)  
15 PRESIDENT BODE: It's been a long day, Nick --  
16 MR. BROWN: -- initially.  
17 PRESIDENT BODE: The pounds and the stars are  
18 not necessarily all the same.  
19 Yes, sir. You haven't spoken all day.  
20 MR. MARSHALL: Ward Marshall with GE Wind  
21 Energy. And you were just asking for some bottom line --  
22 kind of bottom line comments -- I just want to echo from the  
23 standpoint of whether it's wind equipment or gas turbines or  
24 whatever, as -- you know, we work with a lot of folks out  
25 there building power plants. I would implore you guys to

117

1 try to keep this as simple as possible.  
2 You know, I've only been here a short time,  
3 and maybe through osmosis and attending more meetings I'll  
4 start understanding more what's going on, but if you have to  
5 try to explain this to a bunch of bankers who are trying to  
6 do project financing on any new generation being built,  
7 their eyes would be glazed over to the point of just like  
8 they wouldn't even know whether this is good, bad -- figure  
9 out what the costs are. So I think I heard before some



Attachment 1 - transcript

10 folks saying "simple is better" and I just absolutely -- I  
11 mean, I think just err on the side of simplicity, guys.

12 VICE PRESIDENT HOCHSTETTER: As long as  
13 simplicity tracks costs with beneficiaries, then I'm okay  
14 with that, too.

15 SECRETARY PARSLEY: Well, I guess -- this is  
16 Julie -- I had indicated that -- I'm concerned about  
17 requiring to get in the base plan at all a five-year  
18 contract, yet we're going to change the methodology every  
19 year with a true-up. So I'd have to kind of go back and  
20 think about that. I don't know that I could support -- if  
21 we're going to true-up and change the rates going forward --  
22 that I could support as a requirement to be in the base plan  
23 a set term contract, because I just don't think those match  
24 up. I think it changes the economics.

25 VICE PRESIDENT HOCHSTETTER: Are you thinking

118

1 about going back to where we were at the very beginning and  
2 having only reliability upgrades in the base plan and  
3 looking at participant funding for the other upgrades?

4 SECRETARY PARSLEY: No, no, I would be -- I'd  
5 be back to Option 1, frankly. I mean from -- in terms of  
6 our standpoint and our -- the way we would look at it. I  
7 just -- I think it's very inconsistent to require a set term  
8 of contract and then say that, "Oh, but by the way, over the  
9 term of that contract we're going to vary the methodology of  
10 how this is going to go into the rates." I think that  
11 that's going to cause problems with financing. I think it's

Attachment 1 - transcript

12 going to cause problems with competitiveness. I think it's  
13 going to cause huge market power concerns because only the  
14 really huge players are going to be able to afford to do  
15 this. And I think that the co-ops and the munis and the  
16 smaller guys and the medium-size guys and even some of the  
17 big guys who have financing issues right now, are going to  
18 have a hard time getting out there and getting the money to  
19 do this.

20 So that's -- I just put that out there. It's  
21 kind of -- I guess a plea towards the simple, I suppose, but  
22 I'm just pointing out that there are some compromises that  
23 we might have to make along the way but that -- I'm  
24 concerned that if we start truing these things up or looking  
25 at them on-going, but yet we're requiring long-term

119

1 contracts, I think those are inconsistent.

2 VICE PRESIDENT HOCHSTETTER: Well, it seems  
3 like a long-term contract -- very long-term, 10 years or  
4 more -- would go with a base plan if you're not going to  
5 true-up. The only reason to have to true up in my mind is  
6 if you're allowing short terms contracts -- i.e. short-term  
7 commitments -- and, you know, things are going to be  
8 changing all the time. Then you'd have to change your  
9 allocations all the time. I wouldn't, you know, have a  
10 problem with fixing an allocation if we had a dedicated  
11 long-term resource that matches the amount of money going  
12 into the transmission rate base.

13 So, you know, to me there's got to be some

14 symmetry. You know, if you're going to fund anything with a  
15 regional rate, it needs to have a long-term commitment. So  
16 maybe, you know, the true-up kind of stuff really shouldn't  
17 be trueed up. It should just be participant funded, and  
18 something that goes into the base plan is really long-term.  
19 I mean, that makes some sense to me. There's some logical  
20 symmetry there.

21 Les?

22 MR. DILLAHUNTY: We really need to have more  
23 iterations like we had today -- I mean, with the deadline  
24 out there -- you folks as policymakers and the stakeholders  
25 and the CAWG. It is a bit of a chicken and an egg thing,

120

1 but we do need to continue to have this type of dialogue so  
2 that we can get this resolved.

3 VICE PRESIDENT HOCHSTETTER: I agree. I was  
4 just going -- Denise and I were talking about the fact that  
5 we need to continue this dialogue since it's getting late  
6 tonight, because we do need to reach resolution on some of  
7 these issues. And, you know, maybe in next Wednesday's  
8 call -- next Wednesday morning's RSC call from 10:00 to  
9 12:00 -- we can continue to, you know, work through some of  
10 these things. I think that, you know, we may want to --

11 PRESIDENT BODE: -- our staff having been  
12 given this kind of --

13 VICE PRESIDENT HOCHSTETTER: Yeah, maybe you  
14 guys can put down two or three options on paper that are  
15 refinements from where, you know, this proposal was.

Attachment 1 - transcript

16 MS. DAVIDSON: Well, that was our hope. The  
17 team is meeting in the morning here, so that's why we're all  
18 here to necessarily get the input and then rework what we've  
19 heard (phone tone) today as input and options and to move us  
20 forward. So, yes, we're there.

21 VICE PRESIDENT HOCHSTETTER: Have y'all got  
22 enough feedback on the different options that you'd want  
23 to -- that we should consider?

24 MR. PROCTOR: For the base plan projects I  
25 believe we have --

121

1 MS. DAVIDSON: Yes.

2 MR. PROCTOR: -- and appreciate that. And  
3 that's really our priority. I mean, we can get back to --

4 MR. BROWN: Yeah, I want to make a point on  
5 that. From a reliability perspective, we have the  
6 transmission we need today. We do. The issue is we're not  
7 efficient. I mean, my plea would be let's focus on the  
8 other. I mean, yes, it would be good to resolve the  
9 reliability piece going forward. But right now we've got  
10 what we need.

11 My focus is to create an infrastructure that  
12 is more robust than what we have today to support more of  
13 the economies that are available out there. And that's why,  
14 in my view, we really need to focus on the economic upgrades  
15 so that we can get more transmission built. I mean -- to  
16 me, that's my goal. I'll just tell you my goal is we need  
17 more transmission. Transmission expansion hasn't kept up

18 with generation expansion. And right now our market is not  
19 as efficient as it could be because we have constraints.

20 Reliability is being met. Okay? I mean  
21 end-use load is being served. But it's not necessarily  
22 being served from the most economic resources that are out  
23 there. So, yes, we need something resolved and -- but I  
24 want to be careful that we don't say, "Well, gee, okay,  
25 let's just deal with the reliability piece and we'll worry

122

1 about the economic piece later." My concern is that's  
2 really where the real need is from an efficiency  
3 perspective.

4 VICE PRESIDENT HOCHSTETTER: Is there any way  
5 that we can get the AEP analysis done in time for the RSC to  
6 look at it during our next Wednesday morning conference  
7 call? And I know that's putting a lot of pressure on you,  
8 Bruce, but, you know, if in fact that analysis answers a lot  
9 of our questions on this regional versus zonal cost  
10 allocation question --

11 PRESIDENT BODE: Sandy is going to take over  
12 for me just to conclude the meeting because I'm going to  
13 miss my flight. So I apologize.

14 VICE PRESIDENT HOCHSTETTER: Thanks, Denise.

15 SECRETARY PARSLEY: Good-bye, Denise.

16 VICE PRESIDENT HOCHSTETTER: See you later.

17 PRESIDENT BODE: And Joyce will be here for  
18 tomorrow. Thank you. Julie, thank you.

19 MR. REW: We'll certainly give it our best

Attachment 1 - transcript

20 shot to meet next Wednesday's meeting deadline.

21 VICE PRESIDENT HOCHSTETTER: Okay. Does next  
22 Wednesday morning work for you, Julie? Are you going to be  
23 able to participate --

24 SECRETARY PARSLEY: Oh, you know, I'm so  
25 sorry. I'm sitting here thinking -- I think I can. I think

123

1 so.

2 VICE PRESIDENT HOCHSTETTER: Okay.

3 SECRETARY PARSLEY: Next Wednesday morning --

4 VICE PRESIDENT HOCHSTETTER: Yeah. I can't  
5 remember --

6 SECRETARY PARSLEY: Oh, I have a hearing. We  
7 have a hearing, a telecom hearing -- an arbitration.

8 VICE PRESIDENT HOCHSTETTER: Will Jess be  
9 available to be your proxy on the call?

10 SECRETARY PARSLEY: Jess is always a very good  
11 proxy if he's available --

12 MR. TOTTEN: Is it --

13 SECRETARY PARSLEY: It's telecom. I don't  
14 know if you've got other things going on.

15 VICE PRESIDENT HOCHSTETTER: Yeah, I think  
16 that -- you know, we've narrowed down some of the issues --  
17 it seems like whittled some of them down -- but I guess I'm  
18 a little concerned about going backwards. I mean it seemed  
19 like we -- you know, we had -- we all thought that Option 3  
20 was a good one and it was just a matter of how to define the  
21 length of time and the parameters for flexibility and

22 changes, and then, I guess, I heard from you some concern on  
23 that --

24 SECRETARY PARSLEY: Right.

25 VICE PRESIDENT HOCHSTETTER: -- which would

124

1 take us back to maybe only having reliability in the base  
2 plan and looking at other upgrades differently --

3 SECRETARY PARSLEY: Or not truing up every  
4 year. I mean, that's -- the other option is having a set  
5 contract and then a set percentage. I mean that's another  
6 option -- another way to go -- rather than -- and keep the  
7 flexibility for the -- for the load serving entities.

8 VICE PRESIDENT HOCHSTETTER: So the debate  
9 would be on how long a contract term would have to be to fix  
10 the percentage and not true it up, right?

11 It sounds like -- maybe y'all could put down  
12 all the different options that we -- I mean, has anybody  
13 kept track of all the different options we've talked about  
14 today besides the court reporter?

15 MR. PROCTOR: Yes.

16 (Laughter)

17 VICE PRESIDENT HOCHSTETTER: Okay.

18 SECRETARY PARSLEY: Okay. I'm just worried  
19 about -- you said "symmetry" -- I think symmetry is very  
20 important, and I think that we lose the symmetry if you have  
21 a fixed-term contract but you're truing up the rate every  
22 year and then it's varying. So that's my basic concern. So  
23 that's -- so we can just keep talking about that and see

24 what other options are out there.

25 MR. BROWN: Maybe rather than true-up it's

125

1 just a re-look at the percentage on a going-forward basis.

2 VICE PRESIDENT HOCHSTETTER: And then like --  
3 if a deviation -- a standard deviation or whatever is minor,  
4 you don't change it, if it's major you do?

5 MR. BROWN: Right. But it's only going  
6 forward. It's not going back and re-addressing --

7 VICE PRESIDENT HOCHSTETTER: Right. Yeah.  
8 Not retroactive refunds or anything like that, Julie, just a  
9 true-up on a going-forward basis. And it probably -- might  
10 be negligible, it might not, but --

11 MR. PROCTOR: I think part of the question is  
12 how does -- how does whatever this true-up is, whether it's  
13 changing the "x" percent over time or the way that you  
14 allocate to the zones the 1 minus "x" percent -- how does it  
15 affect and what will be the overall impact on rates to the  
16 customers for transmission? And I think one of the things  
17 to keep in mind is that the way this is set up, load will  
18 pay the rates. Okay?

19 It's not -- it's not like -- it's not like the  
20 wind folks are going to pay the rates or an IPP is going to  
21 pay the rates. It's that the load serving entity is the one  
22 that's going to pay the rates and you pass that on to load.  
23 And I don't think the variations that we're talking about  
24 are very significant. And I may be wrong, but I've heard  
25 the argument that it's the tail wagging the dog.



1 Transmission costs are a very low percentage of the total  
2 cost, and now we're talking about some minor variations on  
3 that low percentage of total costs, and I don't -- and it's  
4 the load that's paying it. I don't think it's going to mess  
5 up the deal.

6                   But I -- I mean, I think we need to look at  
7 that. I don't think under the SPP methodology that the  
8 percentage going to regional would change very much over  
9 time. And I don't think it would change very much at all.  
10 And which zones projects get allocated to is going to be a  
11 function of those projects and the time frame in which  
12 they're brought into play, because those are not  
13 region-wide. Those tend to be very -- more local or -- I'm  
14 a little bit less concerned about this, but, again, we'll  
15 lay out the option for you. I mean, I understand the  
16 concern that's been addressed here.

17                   MR. HOLLOWAY: And I think what Mike is saying  
18 is the zone -- the "x" probably won't change that much over  
19 time, but -- but as the projects come on line there's  
20 probably going to be a different zonal allocation to each  
21 one, and that will be different depending on the project.

22                   MR. BROWN: And my plea is "something is  
23 better than nothing, sooner is better than later" --

24                   VICE PRESIDENT HOCHSTETTER: Right.

25                   MR. BROWN: And, you know, I repeat -- years

1 back when we implemented our first regional tariff, it had,  
2 as Mike is well aware -- I mean, we got bloody in meetings  
3 arguing over megawatt-mile pricing. And everybody's fear  
4 was, "Oh, gosh, if we go down that road, then we'll be stuck  
5 with it forever," and it was less than 18 months later we  
6 went to the zonal rate methodology.

7 VICE PRESIDENT HOCHSTETTER: Yeah, I'm sure  
8 this will be changed many, many times in the future --

9 MR. BROWN: I mean, I can't count the  
10 number --

11 VICE PRESIDENT HOCHSTETTER: I keep thinking,  
12 "don't let perfection be the enemy of the good." You know,  
13 that keeps popping up in my mind. So we need to probably  
14 all keep that in mind.

15 Is there anything else -- I know we need to  
16 let the court reporter and staff go and we probably need to  
17 wind it down. Can y'all get that list of options to us --  
18 in enough time for us to have a chance to look at it before  
19 the Wednesday morning call?

20 MR. PROCTOR: Yes, we'll be working on that  
21 tomorrow. So we'll try to get it out to you real quick.

22 VICE PRESIDENT HOCHSTETTER: And, then, I  
23 don't want to put any of that nasty pressure on you, Bruce,  
24 but to the extent that y'all can do -- and maybe get AEP  
25 folks to help you run that analysis, that will be really

Attachment 1 - transcript

1 helpful.

2                   Anything else today before we -- I guess -- do  
3 we have a motion to adjourn if there's no other -- or,  
4 Julie --

5                   SECRETARY PARSLEY: So move.

6                   VICE PRESIDENT HOCHSTETTER: Is there a second  
7 to that motion?

8                   MR. LOUDENSLAGGER: Chairman, are you going to  
9 cover the travel policy next week?

10                  VICE PRESIDENT HOCHSTETTER: I guess so, if we  
11 can work out our cost allocation issues. We may have to  
12 have a separate meeting just on the travel policy.

13                  MR. PROCTOR: Sam, the policy is no more  
14 travel until we get this resolved.

15                  (Laughter)

16                  VICE PRESIDENT HOCHSTETTER: Okay. Well,  
17 hearing no objection to the adjournment, I'll call this  
18 meeting adjourned. Thank you very much for being here  
19 today.

20                  SECRETARY PARSLEY: And before we go off the  
21 record, I need to conclude this Open Meeting of the Public  
22 Utility Commission of Texas at 5:45.

23                  (Proceedings concluded at 5:45 p.m.)

24

25

129

1                                   C E R T I F I C A T E

2

Attachment 1 - transcript

3 STATE OF TEXAS     )  
4 COUNTY OF TRAVIS    )

5                    I, Lou Ray, Certified Shorthand Reporter in  
6 and for the State of Texas, do hereby certify that the  
7 above-mentioned matter occurred as hereinbefore set out.

8                    I FURTHER CERTIFY THAT the proceedings of such  
9 were reported by me or under my supervision, later reduced  
10 to typewritten form under my supervision and control and  
11 that the foregoing pages are a full, true, and correct  
12 transcription of the original notes.

13                    IN WITNESS WHEREOF, I have hereunto set my  
14 hand and seal this 29th day of September 2004.

15

16

17

\_\_\_\_\_  
Lou Ray  
Certified Shorthand Reporter  
CSR No. 1791 - Expires 12/31/05  
  
Kennedy Reporting Service, Inc.  
Firm Certification No. 276  
1801 Lavaca, Suite 115  
Austin, Texas 78701.

19

20

21

22

23

24

25

# Travel Policy

---

---

The Southwest Power Pool Regional State Committee (“RSC”) will reimburse RSC members (and their delegates assigned to specific task forces and working groups) and RSC associate members (hereinafter severally and jointly referred to as “Member(s)”) for all fair and reasonable expenditures incurred by Members when conducting RSC business. It is intended that Members should neither lose nor gain money as a result of reimbursement.

1. Travel expenses must be submitted on the RSC expense reimbursement form within 30 days after the conclusion of the travel. Receipts are required for all expenses.
2. The RSC expense reimbursement form must be signed by Member seeking reimbursement and in the case of an assigned delegate, by the individual state Commissioner assigned to the RSC.
3. While traveling and away from home, Members are expected to use good judgment when incurring expenses for lodging, meals, transportation, etc. RSC will reimburse business related mileage at the rate approved by the IRS. Reimbursement will be for mileage claimed due to travel to business location and return.
4. Members are responsible for making their own arrangements for transportation, lodging and car rentals. All accommodations should be purchased as far in advance as possible to obtain available discount fares/rates. All air travel is to be booked at the lowest accommodating fare.
5. Lodging reservations should be made at mid-priced establishments, when available. If a Member is attending a meeting or function being held at a specific facility, then reservations may be made at that facility.
6. The RSC will not accommodate advances for travel expenses; the RSC will only reimburse expenses after the fact with supporting documentation and approval as specified in this policy.
7. If a spouse or family member accompanies a Member on a business trip for non-business reasons, the family member’s travel expenses are not reimbursable.

## **Travel Guidelines**

These numbers are provided as guidelines and are based on historical averages. Members are expected to use their best judgment while traveling.

### **Price Guidelines:**

1. Airfare - \$500 roundtrip within the SPP footprint
2. Hotel - \$130/night
3. Meals - \$45/ day
4. Car Rental - \$70/day
5. Parking - \$10/day
6. Tips & Gratuities – 15% tip for meals, 10% tip for cab fare, \$1 per bag for baggage handling

## **Expense Reimbursement Policy**

---

---

This policy is intended to identify reasonable, necessary and customary business expenses, which are eligible for reimbursement. Southwest Power Pool Regional State Committee (“RSC”) participants eligible for reimbursement include RSC members (and their delegates assigned to specific task forces and working groups) and RSC associate members (hereinafter severally and jointly referred to as “Member(s)”).

Business Mileage – Members will be reimbursed for all mileage incurred while using a personal vehicle for business. The Member will be reimbursed at the standard IRS mileage rate.

Personal Auto Use on Company Business – If a Member requests use of a personal vehicle in lieu of air travel, reimbursement will be made at the approved reimbursement rate for the most direct mileage to and from the business destination unless round trip air travel is less expensive. When this occurs, the round trip air travel cost will be reimbursed instead.

Mileage will be reimbursed at the then current IRS mileage rate. This expense is to be turned in on an expense account (within 30 days) with the number of miles and the purpose of the trip.

Rental Cars, Taxis, Bus Fares, tolls, etc. – Reimbursement will be made for transportation while on RSC business, including transportation to and from airports and transportation to and from local businesses. Members are expected to use cost effective methods. The standard rental automobile will be a mid-size sedan.

RSC Meals – Members will be reimbursed for meals under the following circumstances:

- When out of town on business, the reasonable costs of the Member’s meals will be reimbursed.
- Business meals will be reimbursed when business is discussed and the Member documents the business purpose and who attended.

Lodging – Members will be reimbursed for lodging expenses incurred while on RSC business.

Meetings - The following are guidelines for a meeting the RSC might incur.

1. Lunch – plan for \$25/ person
2. Continental Breakfast – plan for \$10/person
3. Afternoon Break – plan for \$150/total
4. Beverages – plan for \$12/person
5. Meeting Room (<20 people) - \$250/day
6. Meeting Room (>20 people) - \$650/day
7. Supplies (<20 people) - \$350/day
8. Supplies (>20 people) - \$700/day
9. A/V Equipment
10. Conference Phones

11. Internet Access

12. Teleconference : 25 ports/2 hr. meeting

**Receipts are required on all expenses.**

**Reimbursement will be approved per this policy. Periodically, reimbursements will be reviewed by the RSC officers for compliance with this policy.**





# Summary Transmission Expansion Cost Allocation Proposal

for the  
SPP RSC  
September 8, 2004

## Overview of Straw Proposal on Cost Allocation for Transmission Upgrades

- Base funded upgrades
  - Upgrades necessary to meet reliability criteria and projected load growth in region
- SPP approved economic upgrades
  - May be partly voluntarily funded and partly rolled into rates
- Other requested upgrades
  - Upgrades requested by and paid for by one or more parties

## Areas of Agreement on Cost Allocation

1. Base Plan Upgrades
  - Regional/zonal cost allocation approach
  - X% through a single region-wide SPP rate
  - 100-X% recovered through the zonal rate of zone or zones which benefit from the upgrade
2. SPP approved economic upgrades
  - Y% directly from the party or parties that volunteer to pay for such upgrades
  - 100-Y% through a single region-wide SPP rate
3. Participant funded
  - Requested upgrades funded 100% directly from the requestor; i.e., no change from today.

3

## RSC Guidance Required on Several Key Issues

1. Base Funding Issues
  - a. What level of flexibility, if any, should transmission customers have in resource designations in the base plan?
  - b. What percentage of upgrade costs (X%) to be allocated to region-wide rate?
  - c. How should the remaining portion of costs be allocated among the zones?
2. Economic Upgrade Issues
  - a. Percentage of cost of economic upgrades to be allocated to region-wide rate (Y%).
  - b. What rights does a Participant receive for voluntarily funding non-based funded projects?

4

## 1.a. Base Funded Upgrades Flexibility in Designating Network Resources

- All stakeholders agree Base Plan must be developed to meet reliability requirements and projected load growth
- Clear split over the scope of the Base Plan and treatment of designated network resource change requests. Options include:
  - Option 1 – Base plan should include transmission customer requests to change designated resources to meet their changing supply requirements
  - Option 2 – Base Plan should be developed for existing transmission service and projected load growth; changes to designated network resources should not be in Base Plan
  - Option 3 - Same as Option 1 except that transmission customer must demonstrate that DNR change meets certain guidelines (e.g. level of commitment to resource, long-term nature, etc.)
- CAWG requires direction from RSC on preferable option

5

## 1.b. Base Funded Upgrades X% in Region-wide Rate

- What percent of BPF costs should be assigned as regional?
  - 10% or less via Transfer Reserve Margin Test
  - 25% via SPP 3% Transfer Test
  - 33% via SPP Megawatt-Mile Loop Flow Test
  - 50% via Sunflower Proposal
  - 100% via TDU Network System Proposal
  - % could vary by voltage level via SPP Megawatt-Mile Loop Flow Test

6

## 1.c. Base Funded Upgrades Allocation of (1-X)% to Zones

- Choice between two proposed flow-based tests and current practice
  - AEP Test: those zones that benefit from economy transactions as measured by net imports.
  - SPP Test: those zones whose megawatt-mile use of the existing system decrease from the addition of a system upgrade.
  - Status Quo: Cost assigned to the zone in which the facilities are located.

7

## 2.a. SPP Approved Economic Upgrades Y% Voluntarily Funded

- Projects would require a certain level of voluntary funding (Y%) before the remaining portion is funded by the region.
  - Should Y% be determined as a policy matter to represent strong support from market participants for the project – say 2/3<sup>rd</sup>s or 3/4<sup>th</sup>s voluntarily funded;
  - Should Y% change with the strength of the economic benefits that are expected to result from the upgrade; or
  - Should Y% be low to facilitate completion of projects that provide energy benefits?

8

## 2.b. SPP Approved Economic Upgrades Participant Rights

- Should a crediting policy analogous to Order 2003-A be adopted for participant funded projects; or
- Should participant funded projects be treated as directly assigned costs with no credits back to participant?